

U.S. ARMY CORPS OF ENGINEERS
JACKSONVILLE DISTRICT
PUBLIC MEETING

Monday, January 12, 2015
7:00 P.M.

Wolf High-Technology Center's Susan H. Johnson Auditorium
Indian River State College Chastain Campus
2400 SE Salerno Road
Stuart, Florida

Re: Loxahatchee River Watershed Restoration Project

PRESENTERS: Mr. Matt Morrison, Project Supervisor
Mr. Andy LoSchiavo, Environmental Lead
Dr. Bradley Foster, Planning Lead

ALSO PRESENT: **U.S. ARMY CORPS OF ENGINEERS**
Colonel Tom Greco
Dr. Orlando Ramos-Gines, Project Manager
Jeff Couch, Project Management Supervisor
Dr. Gina Ralph, Planning Supervisor
Jenn Miller, Corporate Communications

SOUTH FLORIDA WATER MANAGEMENT DISTRICT
Beth Kacvinsky, Project Manager
Matt Morrison, Project Supervisor
Scott Thourot, Engineering Lead
Patty Gorman, Environmental Lead

FLORIDA DEPT. OF ENVIRONMENTAL PROTECTION
Inger Hansen

COURT REPORTER: Dianne S. Morris, RPR
Esquire Reporting, Inc.
422 Camden Avenue
Stuart, Florida 34994

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

Page

Opening Introductions by Colonel Tom Greco	3
Presentation by Mr. Matt Morrison	5
Presentation by Mr. Andy LoSchiavo	19
Presentation by Dr. Bradley Foster	30
Public's Clarifying Questions	35
Public Comment by Michelle Diffenderfer	43
Public Comment by Woody Wodraska	46
Public Comment by Deb Drum	49

1 LT. COL. GRECO: Ladies and gentlemen, we'll
2 get started in a few minutes.

3 Good evening, everyone. My name is Colonel Tom
4 Greco of the U.S. Army Corps of Engineers,
5 Jacksonville District, and I will be presiding over
6 tonight's public meeting for the Loxahatchee River
7 Watershed Restoration Project. For those of you
8 who do not know me, I'm the Deputy District
9 Commander for South Florida and as such am
10 representing Colonel Alan Dodd, the District
11 Manager.

12 We're here tonight to provide information,
13 answer questions and ask for your input on the
14 National Environmental Policy Act assessment for
15 the project.

16 Before we begin, I would like to thank all of
17 you for taking time out of your busy schedules and
18 joining us here tonight and getting involved in the
19 planning process.

20 I do also want to recognize and thank Deb Drum
21 from Martin County and Scott Kelly from the City of
22 West Palm Beach for coming.

23 Where are you Mark -- Deb and -- all right.
24 Thanks for coming.

25 This meeting is being held in accordance with

1 the National Environmental Policy Act for the sole
2 purpose of listening to you. I would like to
3 remind you of the importance of filling out these
4 cards, the comment cards, because they serve two
5 purposes. First, they let us know that you're
6 interested in this project so that we can keep you
7 informed. Second, they provide me with a list of
8 individuals who speak -- who wish to speak tonight.
9 If you did not fill out a card, they're available
10 on the registration table. Once you fill it out,
11 if you'll provide it to Jenn Miller at the
12 registration table, she'll make sure that it gets
13 to me.

14 Before we begin the presentation, let me
15 introduce the team with me tonight. And if you
16 can, just raise your hand. They'll obviously be
17 here during the question and answer period.

18 From the Corps of Engineers, Dr. Orlando
19 Ramos-Gines, Project Manager; Jeff Couch, Project
20 Management Supervisor; Andy LoSchiavo,
21 Environmental Lead; Dr. Brad Foster, Planning Lead;
22 Dr. Gina Ralph, Planning Supervisor, and Jenn
23 Miller, Corporate Communications.

24 And from the South Florida Water Management
25 District, our south partner, Beth Kacvinsky,

1 Project Manager; Matt Morrison, Project Supervisor;
2 Scott Thourot, Engineering Lead, Patty Gorman,
3 Environmental Lead.

4 And from the Florida -- the Florida Department
5 of Environmental Protection, Inger Hansen.

6 And in a few minutes -- in a few moments I'll
7 turn the floor over to Matt Morrison, Andy
8 LoSchiavo and Dr. Brad Foster who will provide you
9 with a brief overview of the project and the
10 planning process.

11 Once the presentation is complete, I will open
12 -- then open the meeting to public comments after
13 additional questions and answers.

14 Ladies and gentlemen, let me introduce Mr. Matt
15 Morrison.

16 MR. MORRISON: Okay, thank you.

17 Can everybody hear me okay? Good. I'd like to
18 welcome everybody for taking time out of your
19 evening tonight and joining us here for our
20 Loxahatchee River Watershed Restoration plan
21 scoping meeting. This is basically an informative
22 meeting tonight to share with stakeholders like
23 yourselves our path moving forward in developing a
24 planning document known at the Project
25 Implementation Report for the implementation of the

1 Loxahatchee River restoration. And tonight is
2 really kind of a first step in that federal process
3 where we kind of launch our planning efforts
4 through a number of formal meetings where the
5 public will have some input into the planning
6 process as we build the different project
7 components and analyze them against one another to
8 find the most cost effective project that we can
9 implement over time to bring additional flows to
10 the Northwest Fork of the federally designated wild
11 and scenic river.

12 So with that said, I welcome you. This is
13 really your opportunity to listen in to the
14 presentations that we have today and then spend
15 some time with staff after the meeting if you have
16 specific questions. You know, we would be more
17 than glad to get with you and answer any questions
18 that you may have in addition to filling out the
19 speaker cards where we can address it in a formal
20 public forum at the microphone. So again, welcome.

21 Can we go to my first slide? Do I need a
22 control?

23 LT. COL. GRECO: No.

24 MR. MORRISON: Here?

25 LT. COL. GRECO: No.

1 MR. MORRISON: Okay. All right. Well, I'll
2 just give a quick overview of our meeting purpose
3 and agenda. We went through the welcomes and
4 introductions. I'm going to take just a little bit
5 of time to give a fairly high level overview of the
6 Comprehensive Everglades Restoration Plan to get
7 you familiar with the other projects that the
8 federal government and the nonfederal sponsor, the
9 South Florida Water Management District, has been
10 working on for the last 15 years, and then we'll
11 cover an overview of the National Environmental
12 Policy Act that we have to follow as far as the
13 guidelines from the federal process to actually
14 plan the project. We'll talk a little bit about
15 the planning process, recognizing that the Army
16 Corps of Engineers has recently transformed their
17 planning process so that I think that will be
18 really important as we move forward and plan this
19 project. They have provided a more streamline
20 approach to getting to the finish line in some of
21 these very, very complicated planning projects and
22 we're looking forward to working in this new
23 planning process with the Jacksonville District to
24 expedite the completion of this PIR. We spent a
25 lot of time over the last seven to ten years

1 studying this area and we've had some starts and
2 some stops and I think this is our opportunity to
3 use the new federal process to actually formulate a
4 plan and actually bring it to completion. We'll
5 talk a little bit about the scope and update you
6 there, and then we'll talk about the problems and
7 the opportunities and the goals and objectives that
8 we'll be formulating during this planning process
9 and then we'll touch briefly on the next steps.

10 So from an Everglades restoration overview
11 standpoint, I recognize some of the faces in the
12 room. I've worked with them on individual projects
13 or federal projects. I don't recognize some of the
14 faces in the room and I would like to spend a
15 little bit more time afterwards getting to know you
16 personally. But some folks have seen this overhead
17 which really kind of shows a cartoon depiction of
18 how the South Florida peninsula and water flows
19 have changed in the last 100 years.

20 If you take a look at the graphic on the far
21 left, you can see what is identified as the
22 historic pre-drainage flow patterns that Florida
23 experienced before all of us moved down here to go
24 to school and work and play and enjoy the beautiful
25 weather that we enjoy each and every day that we

1 live here. And basically what -- what transpired,
2 the center portion of the state was like a funnel
3 where it would collect rainfall north of Lake
4 Okeechobee in the Kissimmee Valley and it would
5 take that rainfall and it took the land and moved
6 it into Lake Okeechobee. And when the levels from
7 the rainfall got high enough in Lake Okeechobee,
8 the water just kind of spilled over in the southern
9 end of the lake system and moved that water as a
10 collected additional rainfall south of the lake
11 delivering that water through the Everglades system
12 on down the Florida Bay. And you'll notice that
13 when levels got high enough, there were some
14 discharges that spilled over to the west into the
15 Caloosahatchee Estuary. Now, the current flow
16 today has been derived over decades' worth of
17 improvements to the natural system to afford an
18 opportunity for all of us to live here. And there
19 was a massive canal network that was put in place
20 to allow us to basically provide agriculture and
21 the municipalities and the urban developments that
22 we have on the landscape in the South Florida
23 peninsula today and that came in the form of
24 drainage network that basically collected the water
25 that hit the landscape and moved that water out to

1 tide through the Caloosahatchee River system that
2 was built to the west and the St. Lucie River
3 system that was built to the east as well as moving
4 water through the Everglades agricultural area
5 south of the lake and then to the coast. And
6 you'll notice that there's been a very small
7 delivery of water in the current flow system to the
8 Everglades National Park when you compare it to
9 this historic system. So the overarching goal of
10 CERP, and that's the acronym for the Comprehensive
11 Everglades Restoration Plan, is to try to get us
12 back to where we were with historical photos
13 recognizing that we're never going to be able to go
14 all the way back to where we were, but the storage
15 system will be much different than it was
16 pre-drainage before we all lived here. But the
17 goal is to provide storage and treatment on the
18 landscape to what we call QQTD and that's the
19 quality, the quantity and the timing and the
20 distribution of flows to the natural system. And
21 that's really the overarching goal on the
22 Comprehensive Everglades Restoration Plan.

23 Now, one thing I do want to note is if you look
24 at the pre-drainage characteristics up here on this
25 right slide, you'll see this little finger that

1 moves up towards the Northwest Fork of the
2 Loxahatchee River. That finger needs to actually
3 deliver water to the Northwest Fork naturally when
4 the Everglades system got high enough. So the
5 Loxahatchee River is part of the greater Everglades
6 system so don't forget that as we move forward in
7 this planning process.

8 The Comprehensive Everglades Restoration Plan
9 88. I'm not sure where the 8 and the 88 came from,
10 but the bottom line is it was appraised of 68
11 components that was documented in the 1999 restudy
12 of the Central and Southern Flood Control Project
13 back in 1999, and it identified a number of
14 different project features that could be put
15 throughout the landscape to improve the quality,
16 the quantity, the timing and distribution flows to
17 the natural system and those included surface
18 storage. And when we talk about the surface
19 storage, we talk about the aboveground reservoir
20 where you collect water from the canal system to
21 the landscape. When it rains real heavy in the
22 summertime, you put it in storage and then you hold
23 it and then you deliver it to the natural system
24 during the dry months when the environment needs
25 it.

1 Aquifer storage and recovery is another water
2 storage technique. There's been a number of
3 projects that have been used. None of them have
4 really been coupled with an individual project, but
5 there's technology out there that is considered in
6 CERP where you take a well, you collect water from
7 the landscape and you pump it down into the upper
8 portion of the Florida aquifer, a couple thousand
9 feet underground, and you create a freshwater
10 bubble which you can then pull back up when it
11 doesn't rain and deliver that water to the system.
12 And as we move forward with this particular
13 planning effort, we'll most likely be taking a look
14 at aquifer storage and recovery technology as one
15 management that can store water, to carry that
16 water forward into the dry season to improve the
17 timing and the distribution of those flows for this
18 Northwest Fork that we're so interested in
19 restoring.

20 The other management areas include stormwater
21 treatment areas to improve water quality. We all
22 know that as we work with and grow food here in
23 South Florida, we've somewhat degraded the water
24 quality so there are stormwater treatment areas
25 that actually remove the nutrients from the water

1 column before they deliver it to the natural
2 system. We often have to consider seepage
3 management. If you're going to be moving water
4 into areas that have been well drained and
5 developed, we need to make sure that if we put
6 water back on that landscape, we're not having any
7 adverse effects to property rights, i.e. people
8 that live there or people that grow food there. To
9 make sure that when we put water, the water stays
10 where it goes and it doesn't cause any problems
11 with the flood protection.

12 Removing barriers to sheet flow and trying to
13 get water to move through the system. For removing
14 barriers to sheet flow in Loxahatchee, I think it's
15 a good case of a project where the natural system
16 has been bifurcated by roads, it's been bifurcated
17 by embankments, it's been bifurcated by canals.
18 And the water that used to naturally move to the
19 river -- river and feed it, now it's kind of all
20 chopped up in a pattern development here. There's
21 a development there, there's a road here, there's
22 ditches there. And this really provided a number
23 of different barriers to the sheet flow in the
24 river that we're going to try and improve as part
25 of the planning process.

1 And then last but not least from a project
2 component standpoint, we recognize that you put
3 additional project features on the landscape,
4 whether it be another project with CERP or the
5 Loxahatchee River Watershed. When you have storage
6 facilities on the landscape, you're going to have
7 to modify your operation of the system for that
8 project and sometimes you even have to reach back
9 and manage the system on the operations different
10 because you're changing the timing and the
11 distribution of flows and we've got a system that's
12 out there and built to manage one set of
13 circumstances and we're trying to implement another
14 one when it comes to water management. So
15 operations are key.

16 And then I can't let this one go without
17 talking about it. You know, we hear a lot of
18 things about how long it takes to restore the
19 environment. And CERP recognized that it was a
20 30-year plus implementation schedule. The short
21 answer is, yes, it takes a long time to reverse
22 what we have built and created over the last 100 or
23 120 years. And I always remind folks that it's
24 taken a century to get us where we are today and
25 it's very challenging to get us back to where we

1 were without taking the necessary time to move
2 things forward in the manner that we need to. So
3 the good news is we're developing a plan for the
4 river. We're going to get that plan finished.
5 Once it's finished, it keys up an opportunity to
6 actually get congress to approve it and appropriate
7 funds for it before we can actually move forward
8 and get some infrastructure in the ground. It's
9 not going to happen overnight. We're talking about
10 a three-year planning process and then some time
11 after that in order to get that infrastructure in
12 place. So I just want to remind everybody, it took
13 100 plus years to get here, it's going to take 30
14 to 50 years for us to restore the Everglades system
15 to what it used to run -- used to look like over
16 time.

17 From an implementation standpoint, these are
18 the big projects that we've been working on with
19 the U.S. Army Corp of Engineers as a local sponsor
20 over the last 20 years. I'm not going to spend a
21 lot of time on them. We talk about foundation
22 projects, first and second generation projects and
23 we talk about central Everglades. All I'm going to
24 mention here is the foundation project kind of
25 whittled the landscape and those were the big

1 projects that predated the Comprehensive Everglades
2 Restoration Plan and the included projects like
3 Kissimmee River Restoration. North of the lake it
4 is well under construction and that's achieving
5 numerous benefits north of the lake by taking the
6 channelized canal system and converting back to its
7 meandering river. The first generation projects,
8 those are projects that have already been approved
9 by congress and appropriated by congress. When I
10 say appropriate -- appropriate, they received
11 funding and they're being implemented as we speak.
12 They are being constructed. And then the second
13 generation project, those just went through and
14 were approved by congress and the Water Resource
15 Development Act last summer so congress has
16 officially approved those projects but they have
17 not appropriated funds. Planning is complete.
18 Next step will be to appropriate funds and then
19 make a determination through -- deliver a schedule
20 on the sequencing of those projects once the
21 funding comes through.

22 The Central Everglades Planning Project. Very
23 popular project that was planned during this
24 expedited planning process that the Corps is now
25 developing over the last three years. We just

1 recently finalized some documentation on that and
2 received authorization from the federal government
3 to move forward and there's been a lot of talk
4 recently about some by parts and sponsorship of a
5 House bill to actually get that particular project
6 approved. The long and short is a lot of the
7 foundation, Gen 1 and Gen 2 project, kind of worked
8 on the periphery of the Greater Everglades system
9 central where it kind focuses right down the heart.

10 So what's next? The next big plan is for the
11 development activity and the local sponsor and the
12 South Florida Water Management District of the
13 Loxahatchee Watershed Restoration Plan. And it's
14 good to know that we as an agency are committed to
15 working with the federal government to plan this
16 project over the next three years and bringing a
17 new planned document to the completion.

18 What I've got on the overhead is basically a
19 geographical map that is outlined in red that
20 identifies the study area and there's a bunch of
21 different colors on lands that are currently in
22 public -- predominately in public ownership and
23 these are the lands that we'll really be taking a
24 hard look at from a natural area perspective and
25 seeing if we can improve that

1 de-compartmentalization or connectivity that I
2 talked about. Water used to flow through these
3 systems and make it to the river and those head
4 waters of that natural river system have been
5 bifurcated and we're going to take a hard look at
6 trying to connect these wildlife areas and these
7 preserve areas and these natural areas so we can
8 collect water, store water and then move that water
9 to the river under the appropriate timing and
10 distribution as well as quantities in the past.
11 And what we're going to try to achieve is making
12 sure that the water that makes it to the river
13 keeps the salinity down in the estuary where it
14 needs to be. I don't know if you've been on the
15 river, but if you've been in Florida long enough
16 and you canoed down the river, or you kayaked down
17 the river, or you fished on the river, you've seen
18 some of the cypress die off over the last 20 years
19 and we're going to try to put the brakes on that
20 saltwater front and actually try to move water a
21 little bit further down in the river to allow the
22 collagen to be stabilized and recover some of the
23 natural characteristics that we were accustomed to
24 with that river back 15, 20, 30, 40 years ago.

25 So that's really my overview of CERP. I

1 thought it would be important to share with you all
2 the progress we have made. The slide shows a
3 number of projects that we have worked through.
4 And with that said, as, you know, a representative
5 of a nonfederal sponsor, South Florida Water
6 Management District, what we're really looking
7 forward now to taking the next planning project
8 forward and that property will be the Loxahatchee
9 River Watershed.

10 So thank you very much.

11 MR. LOSCHIAVO: Can everybody hear me? All
12 right?

13 Thank you, Matt, for that excellent overview
14 about the Everglades restoration.

15 My name is Andy LoSchiavo and I'm the
16 Environmental Technical Lead from the U.S. Army
17 Corps of Engineers on this project and I'm going to
18 talk to you about the National Environmental Policy
19 Act and why we're here today as part of the scoping
20 meeting, we want to hear from you about
21 environmental issues that we need to consider as
22 part of this restoration project.

23 Now, just to give you a little background on
24 the National Environmental Policy Act, it's a law
25 that requires all federal agencies to evaluate

1 environmental consequences before they make any
2 federal decision on an action that they're pursuing
3 and in this case we're looking at restoration as
4 that federal action. What you also want to know
5 about the policy, National Environmental Policy
6 Act, I'm going to call it NEPA for short, is a
7 process that requires that we solicit public
8 opinions and get public comment on the proposed
9 actions and hear about issues that we may not be
10 familiar with yet and need to analyze and that's
11 part of the process tonight.

12 In addition, it is also a way that as part of
13 the documentation process for this project, the
14 Project Implementation Report that Matt described
15 and the NEPA document, we can document our
16 consultations with federal, state and local
17 agencies on various other issues that we need to
18 address such as coastal resources, water quality
19 issues, water supply, flood control. And another
20 thing that's important, it's a good opportunity to
21 provide agencies the ability to coordinate all
22 these overlapping jurisdictions associated with
23 addressing this project action.

24 A little more on the NEPA process. Ultimately,
25 it requires us to prepare an analysis of the

1 environmental effects, a document that describes
2 that. And there's really three different types of
3 NEPA documents that might occur. There's a
4 categorical exclusion for actions that are more
5 routine that are known to either individually or
6 cumulatively not have the significant effect --
7 effect on the environment. The second type of
8 document is environmental assessment where we're
9 not sure about whether the effect's going to be
10 significant or not. We do an assessment of the
11 alternatives that we're looking at for the
12 restoration action or project action and consider
13 environmental effects to determine whether we're
14 going to have a significant impact or not. And the
15 ultimate outcome from an environmental assessment
16 is a finding of no significant impact and it
17 describes what was considered and what options were
18 considered to avoid, minimize and mitigating
19 impact.

20 Now, there is a concern about significant
21 impacts to the human environment. Then we prepare
22 an Environmental Impact Statement. And as part of
23 that, it's more a detailed analysis. It's a little
24 more lengthy. We consider a full range of
25 alternatives to help us look at opportunities to

1 avoid and minimize impacts to environmental issues
2 to get brought up as part of the NEPA process as
3 well as options to mitigate those -- those impacts
4 that we can avoid.

5 Now, a little bit on the planning process for
6 the Corps for those of you who aren't familiar with
7 it. It involves six steps and it's integrated with
8 the NEPA process here, and I'm going to go over it
9 a little bit with you so you're familiar with
10 what's coming up as part of the different
11 discussions that we're going to have today as well
12 as future project meetings and public meetings on
13 this project.

14 But step one is where we clearly identify what
15 are the problems and opportunities that could be
16 addressed as part of a restoration project. And
17 what are the right goals and objectives that we
18 should be considering for this project to
19 ultimately achieve those restoration actions in the
20 Loxahatchee River Watershed River and Estuary.
21 This is the same, very similar to what we describe
22 the purpose of the project action is and why we
23 need to undertake that action as part of the NEPA
24 process.

25 Step two is really describing what are -- what

1 is the system like today? What are the existing
2 conditions that are out there that we need to be
3 aware of, and that's also important from the NEPA
4 perspective to understand what we might potentially
5 affect with our restoration actions. There's also
6 as part of the planning process, we describe what
7 might happen in the future as additional
8 development might occur or additional need for
9 water supply or also additional restoration actions
10 that aren't part of this project might change the
11 system and that's important so that when we compare
12 our project's actions we can tell what -- what are
13 we actually benefitting with this project compared
14 to what might happen in the future. And as part of
15 that is describing the hydrology that's going on,
16 what's going on with the water, what are the fish
17 and wildlife resources at this time, what natural
18 areas are in place and also what's the demands for
19 water supply, what's -- what areas have been
20 developed so that we consider that as part of all
21 the modeling analysis and planning for this
22 project.

23 Step three gets into evaluating or forming
24 alternatives, basically alternative restoration
25 plans. What are different ways that we can achieve

1 those project goals and objectives. And from the
2 environmental standpoint, we want to look at the
3 full range of alternatives so that we can make sure
4 that we can achieve those goals and objectives but
5 also avoid and minimize impacts to the environment
6 as well as have options for mitigation and those
7 impacts that we can.

8 And once we get those alternatives, we then
9 look at evaluating those alternatives from a
10 standpoint of planning which plans give us the most
11 restoration benefits at the best cost. And from
12 the NEPA process, we're looking at also which plans
13 have the least amount of environmental impacts or
14 seem to do better from an environmental standpoint
15 as well as other issues that we may consider that
16 get brought up from all of you today and in the
17 future as part of the comment process.

18 We then compare those plans from the step five
19 and analyze really which plans do better from the
20 standpoint of restoration benefits and
21 environmental issues. And ultimately based on
22 coordination with both the public and the federal
23 and state and local agencies, we determine which
24 plan we want to put forward as our recommended plan
25 and document basically the conclusion of all issues

1 that we're evaluating as part of the NEPA process
2 and how we've addressed those in that document.

3 I want to comment real quick, Matt went into
4 this, that the federal planning process has gone
5 through a transformation process and back in 2012
6 in response to public views as well as state Corps
7 as our partners feedback on the Corps and federal
8 planning process, the feedback was it takes too
9 long and it's often very expensive and laborious to
10 get through the planning process. And as part of
11 this, we researched that to look at trying to
12 complete these plans no more than three years.
13 Prior projects sometimes took five, seven years or
14 even longer. We also want to try to keep the
15 planning cost down to no more than \$3 million total
16 for the federal cost sharing as well as ensure --
17 part of the reason things take long is when you
18 have a lot of different levels of review, in the
19 Corps, we have the district here in Jacksonville
20 that looks at what's going on in Florida, there's
21 the division that looks at multiple districts in
22 Atlanta and then headquarters. We want to
23 integrate those reviews at the same time so that we
24 can hear about issues and focus on those issues
25 that were most important to us making the right

1 decisions from a planning standpoint and ensure
2 that those reviews occur timely and address those
3 most important things as early on as possible. And
4 that's what we changed here. We focused on from
5 the planning process what are those key decisions
6 and looking at risk. What are those decisions that
7 pose the most risk and have the most uncertainty so
8 we can focus in on where do we need to get more
9 information as opposed to addressing everything and
10 putting a lot of detail on things that may not be
11 so important for that decision. We're really
12 focusing on those issues that require some more
13 analysis as part of this process. So it's a faster
14 planning process. And you'll see that in the
15 schedule that -- the tentative schedule that was
16 laid out.

17 In addition, we're developing this report and
18 documenting those decisions as we go along, not
19 only so the Corps and our local sponsor are certain
20 about what those decisions are, but also to be
21 transparent to the public on those key issues.

22 And here's the overall NEPA process as it fits
23 within the new Corps planning process. And just to
24 point out here, we're at the scoping phase right
25 now. We have to publish the notice of intent.

1 That was done back in 2002 originally. We just
2 republished that last week to kick off the scoping
3 process again on this project. And that's part of
4 why we're here tonight, just to hear feedback from
5 you on the potential environmental issues that we
6 consider as part of the planning and NEPA document
7 for this project.

8 The first decision that will come up, what
9 we're working on is alternative plans for
10 restoration that we want to consider as part of
11 this project. And we're looking to use a lot of
12 that prior planning information that we had on this
13 project and new information that's come from other
14 state planning efforts, from local county planning
15 efforts to help us make the best decision about
16 what are the best restoration alternatives to
17 consider for this project, and we're looking to
18 accomplish that by May 2015. So as you can see,
19 this is a quick process here.

20 As part of the process here, we're going to be
21 looking at ultimately developing a tentatively
22 selective plan that has evaluated those
23 alternatives, consider the environmental issues
24 that folks have raised here tonight as part of the
25 scoping process, look at the benefits of the plans

1 and recommended a plan that should be considered as
2 part of the draft environmental assessment that
3 we're going to report -- NEPA Assessment Report
4 that we're going to prepare for this project. That
5 will go up for a public comment period as well.
6 And based on feedback here, we're going to get an
7 agency decision on whether that -- there are tweaks
8 that need to be made to that plan to avoid,
9 minimize or mitigate impacts or other things that
10 we might need to do to address some water supply or
11 flood control issues or other issues that might
12 come up as part of this public comment process.

13 And ultimately as we respond to these comments
14 and make a decision, we're then developing a final
15 report on that final plan that follows more detail
16 on those remaining issues that need to be
17 considered that ultimately gets documented in a
18 final Environmental Impact Statement that then gets
19 released for another state and agency review
20 process here at decision 4 alternative -- or
21 Milestone 4.

22 And then following that, we develop a Chief's
23 Report and that's really the document that
24 describes the outcome of all the coordination with
25 the public and agencies, what's a recommended

1 action, what's our 30 percent design, how are we
2 avoiding, minimizing, mitigating those issues and
3 puts that plan forth in a Chief's Report that
4 ultimately will go forward to congress that Matt
5 was describing to be considered for authorization
6 to implement the project.

7 Now, tonight is not your only opportunity to
8 provide input into this project. There's a lot of
9 information that you're going to consider tonight.
10 There's going to be other opportunities and we'll
11 be putting information up on our website that
12 you'll see in just a moment and you can be involved
13 at other federal public meetings that we're going
14 to have associated with the draft NEPA assessment
15 that we're going to do as well as there's regularly
16 scheduled Project Delivery Team meetings where
17 there are opportunities for public comment to be
18 involved. There's also -- we're also going to use
19 existing forums such as the South Florida Water
20 Management District Governing Board and the Water
21 Resources Advisory Committee as an opportunity for
22 you to provide input on specific issues that may
23 come up on this project. In some cases, there
24 might be specific topics, whether it was ASR that
25 Matt was talking about or other issues that might

1 come up that a lot of folks have a lot of interest
2 on and they're a little more complex so we may need
3 to get additional feedback on this so we might
4 schedule opportunities for discussing those in the
5 future as well. And there may be other
6 opportunities that we haven't even considered
7 today. There's a Loxahatchee River Coordinating
8 Council I'm aware of that also holds meetings --
9 holds meetings on issues related to the Loxahatchee
10 River so that might be one place, another venue
11 that you can have your views heard as well.

12 So I thank you tonight, again, for being here
13 as part of this NEPA scoping meeting. Please, if
14 you have comments after the set of presentations,
15 we're going to open that up for some feedback for
16 you -- for you to take the stage and provide your
17 input as well as comment cards. You can go back
18 out afterward and take it home with you if you
19 want, mail it in and provide your input.

20 I'm going to turn this presentation over to
21 Dr. Bradley Foster.

22 Thanks, Brad.

23 DR. FOSTER: All right.

24 MR. LOSCHIAVO: Here you go.

25 DR. FOSTER: Testing the microphone. Working

1 okay? All right.

2 You heard a general overview from Matt and you
3 heard specific procedural and legal requirements
4 from Andy. I'm going to take a moment to give you
5 a little bit more of the specifics for Loxahatchee
6 itself, this study, and just give you a little more
7 that you can react to and comment to us upon.

8 Very broadly, the purposes are to improve the
9 quality, quantity, timing and distribution of water
10 as it flows from the head waters to the Loxahatchee
11 River and Estuary and to improve connections
12 between the different natural areas and the
13 watershed. There was -- Matt mentioned the
14 Comprehensive Everglades Restoration Plan and in
15 the north beach -- North Palm Beach County area,
16 there were on the order of eight or so in the 68
17 components. And in the early 2000s, the study team
18 worked on the project called North Palm Beach
19 County Part 1 and did a lot of work, went to the
20 meetings to do a lot of analysis with different
21 alternatives and measures. And in 2011, management
22 from the Water Management District and the Corps
23 said, "Team, you need to stop for a while, there's
24 other things happening." And during that time, one
25 of the things that was happening was that the L-8

1 Reservoir, which was a key part of those earlier
2 alternatives, was repurposed for water quality
3 purposes and also the Water Management District has
4 purchased Mecca Farms which is another property
5 that has other opportunities for use for
6 restoration.

7 Also, at the end of '13 to now, we focused
8 instead of just on all features that are in the
9 county to the watershed itself, which is not the
10 same. It's common boundaries. We're really
11 focusing on Loxahatchee River and the waters that
12 flow to it.

13 This is the first step of the six steps that
14 Andy mentioned. Problems and opportunities, also
15 goals. And we start there so that we know why
16 we're working and what we're trying to do. So we
17 can't get there until we know where we're going.

18 A list of problems. There's altered timing of
19 flows to the estuary. We have salinity --
20 increased salinity in the estuary in the fork part
21 of river which is affecting the cypress forest. At
22 times during the wet seasons we have large volumes
23 of freshwater flow into the estuary and dry seasons
24 we often have too little flow.

25 And the second list of additional problems.

1 Listed up there, we've got some conversion of
2 natural areas to development and there's a chance
3 of restoring some of those back. And we've lost
4 connectivity that Matt mentioned earlier with
5 roads, canals, other barriers. And as a result of
6 all of these, we've lost some of the diversity and
7 population numbers in a number of species. And
8 since we created water quality, we're looking
9 primarily at the salinity effects at this time.

10 Our goals and objectives are going to be
11 consistent with the overall comprehensive plan.
12 This slide shows the comprehensive plan, goals and
13 objectives. And we didn't type up all the
14 specifics. We're hoping for some input on them,
15 but our objectives generally would come from the
16 problems themselves. If a problem is too little
17 flow to the Loxahatchee River during the dry
18 season, some dry seasons, our objective would be to
19 provide additional flows during the dry season to
20 meet the needs of restoration. So that's how we
21 work out objectives.

22 Also, on the -- on our posters on the back, we
23 have draft objectives listed up there so that --
24 you may have seen them in the beginning and we'll
25 come back to it again.

1 This is similar to what Matt showed from the
2 comprehensive plan. This is management measures
3 that we're considering at this time. We haven't
4 placed them in specific locations yet because we're
5 a little bit early in the process and we haven't
6 pinned all of those down yet, but storage, both the
7 surface storage and within the aquifer are both
8 being looked at.

9 Conveyance. Moving the water and moving
10 barriers from the moving water are definitely in
11 the mix. And for structures that we build or
12 structures that are already there, operational
13 changes may improve conditions to restore some of
14 the natural areas.

15 Vegetation management. There are certain
16 pockets of either exotic species or invasive native
17 species that are overtaking the more diverse
18 habitats that we hope to -- hope to have and hope
19 to restore. If we start something new, the
20 disturbance usually provides an opportunity for
21 basic species and we would build that sort of
22 control to minimize that effect during the
23 implementation.

24 That's the end of the formal part of the
25 presentation. Any comments would be e-mailed to

1 Andy LoSchiavo or mailed to the address there. And
2 comments or requests are due by the 5th of
3 February.

4 LT. COL. GRECO: Thanks, Brad. Thanks,
5 gentlemen.

6 We're going to go on to the public comments,
7 but before we do that, I do want to just reiterate
8 that it is going to be a public comment portion so
9 it's statements to me that will be entered into the
10 record. But before we do that, does anyone have
11 any clarifying questions? We've got the experts
12 here, not just the gentlemen who presented but also
13 other folks from the team about anything that you
14 saw. Whether it's for Matt's, Andy's or Brad's
15 presentation, just clarity either on the project
16 itself, the history of it or what the intent of
17 tonight is? Yes?

18 MS. DIFFENDERFER: So you had that the L-8
19 Reservoir was removed and I sort of heard that you
20 were talking about ASR as being one of the
21 potential surface water storage options. Is there
22 an actual reservoir, though, that's being looked
23 at?

24 LT. COL. GRECO: I will let our team answer
25 that.

1 Matt?

2 MR. MORRISON: Sure. Can you guys hear me
3 okay? I don't think this is on. There we go.

4 We repurposed the L-8 Reservoir which was in
5 the former plan to meet the water quality
6 requirements that were required to send water to
7 the south. So in repurposing that, we've taken the
8 volume of water that's in the L-8 Reservoir and
9 moved it to another project so that storage that's
10 in the ground today will not be available for this
11 planning so I want to kind of further talk about
12 that a little bit.

13 We mentioned storage and those components were
14 aboveground storage and aquifer storage and
15 recovery, so this project will be looking at both
16 of those as management measures or project
17 components to store water when it's available and
18 deliver it to the river when it's not.

19 From an aboveground impoundment standpoint, the
20 South Florida Water Management District has
21 identified what we call a replacement project for
22 the L-8 Reservoir and that's the acquisition that
23 we made with Palm Beach County for the Mecca
24 location, which is in the western leg of the C-18.
25 So we're looking at those lands since they were

1 former agriculture as an opportunity as lands that
2 are in public ownership to build storage features
3 aboveground that could be used or co-located with
4 ASR technology to provide storage to the Northwest
5 Fork of the river. So that's kind of Part 1.

6 Part 2, there's a second flow path that's owned
7 and operated by the City of West Palm Beach known
8 as Flow-way 1. They have a very large 20-square
9 mile natural area known as Grassy Waters Preserve
10 and that natural system is connected to the
11 regional system. And we'll also be looking at that
12 area as one mechanism to improve hydro periods in
13 the natural system and see if there are
14 opportunities to restore water that can be
15 delivered to the river without adversely affecting
16 the higher periods and grassy waters. So that's
17 kind of the way the landscape was left.

18 So in short, we'll be looking at ASR technology
19 and reservoir technology for storage. There's some
20 storage out there now. We'll be looking at the
21 land we acquired at Mecca and we'll be looking at
22 ASR technology potentially with some of these
23 reservoirs that are already on the...

24 LT. COL. GRECO: Yes, sir. Can you give him
25 the microphone?

1 UNIDENTIFIED MALE: I'll talk real loud. We
2 have an abbreviated time schedule, a 3x3x3. What's
3 the date of the first draft of the reports or
4 documentation that you'll be presenting or putting
5 forth? And specifically where I'm going, you
6 showed a map with some generic symbols on it, but
7 you said, "Well, we haven't done anything with any
8 of these yet." And so the spirit of my question is
9 when do you start and when do you start showing
10 that to the public, and then how many days
11 following when you first show that to the public do
12 you actually start presenting the draft to -- up
13 the chain?

14 LT. COL. GRECO: Andy, would you like to answer
15 that, discussing the role of the PDT and when we
16 meet in this forum again?

17 MR. LOSCHIAVO: Yes, definitely. As far as
18 we're going to be having a Project Delivery Team
19 meeting at the end of this month. That's going to
20 be getting heavily into the planning process to
21 ultimately get to a set of alternatives to
22 basically put forth plans that you're talking about
23 to meet those restoration goals and objectives.
24 And the goal is to have that document done and to
25 start coordinating with ultimately the Corps' chain

1 of command and Water Management District by May of
2 this year. So now the full draft document that
3 ultimately what we would like to call -- our draft
4 report that would be the Project Implementation
5 Report, that wouldn't be until 2016, sometime in
6 the summer. July, I think, is what was up there as
7 far as having one that puts forth a recommended
8 plan and applies all of those plans that we
9 basically put together in May.

10 As far as the public process involvement,
11 there's going to be PDT meetings, probably several
12 over the next few months, to ultimately come up
13 with those alternative plans and then that process
14 is going to continue when we start talking about
15 evaluating those, addressing specific issues that
16 can identify as part of the PDT process. That's
17 going to continue into the summer and into the next
18 year as we prepare that draft Environmental Impact
19 Statement. There's going to be public
20 opportunities associated when we have that draft
21 report that we put out next year as well as part
22 much the PDT process, too.

23 LT. COL. GRECO: And can you explain, Andy, how
24 folks find out about the PDT meetings?

25 MR. LOSCHIAVO: Yes. One thing actually -- if

1 you can move to the next slide actually. There's a
2 website right here that I encourage you to write
3 down and it should be on the agenda as well if you
4 grabbed an agenda when you came in, and that is
5 where we're going to provide information that you
6 can keep track of what what's going on as well as
7 if we get your email address today, you're going to
8 get a note that comes out through emails before
9 these meetings occur so you can be up to date on
10 these opportunities. So please take advantage of
11 those two opportunities.

12 LT. COL. GRECO: Yes, sir.

13 UNIDENTIFIED MALE: The water for this whole
14 project, I assume it is the Loxahatchee River
15 Watershed area and possibly Lake Okeechobee water?

16 MR. LOSCHIAVO: So that's a -- that's a good
17 question there. Are we -- we're looking at the
18 Loxahatchee River Watershed as an opportunity for
19 excess water. The question is do we have Lake
20 Okeechobee water that we're also considering as
21 part of excess water.

22 UNIDENTIFIED MALE: Well, see I'm a -- you have
23 too many variables here, especially when you
24 consider that Orlando wants to capture the
25 Kissimmee River Watershed, some of that water for

1 their aquifer re-nourishment and future growth when
2 you have the others that are variables. You have
3 too many variables and I don't know how you, you
4 know, how you build the equations to tie up all the
5 variables. I'm told the equation. If you ask,
6 they say all water should go south. If all the
7 water went south, how do we address all the
8 freshwater about the growth and the people moving
9 to the area and so forth? So, you know.

10 MR. LOSCHIAVO: Yes. So I think I hear your
11 issue. You're concerned about what's going on with
12 the coming in to the northern part, going -- of the
13 watershed going into Lake Okeechobee and its
14 relevance to this project. And just to let folks
15 know, right now we aren't consider any changes to
16 the lake and this project is really focused on the
17 Loxahatchee River Watershed. And that's the focus.
18 There are going to be future opportunities as
19 things change in the future to look at changes to
20 the lake. For example, complete analysis on the
21 Herbert Hoover Dike. And as far as waters and
22 from -- you know, being affected by, I guess, water
23 supply in Orlando, there's going to be a process to
24 look at that issue as well.

25 LT. COL. GRECO: Yes, sir. And I'll just add

1 on to that one thing that Matt briefed earlier is
2 there are currently nine major projects underway
3 throughout the state, four of which were just
4 authorized, one was just very close to the final
5 planning process and then we're starting this. So
6 they all work together and we would certainly be
7 happy to talk to you about how all of those pieces
8 fit together. This is one important piece that's
9 small in the grand scheme of the 18,000 mile
10 watershed of South Florida, but there are many
11 pieces in place right now that we're working on.
12 And the ultimate goal, obviously, with the
13 Comprehensive Everglades Restoration Plan is to
14 pull these pieces together and get the system back
15 to that balance that Matt was talking about
16 earlier, but we'd definitely be happy to talk with
17 you about that afterward.

18 Any other clarifying questions?

19 Okay. So with that, I just wanted to let you
20 know that it's obviously very important that we
21 hear your voice. We're here to listen to your
22 comments, to understand what your concerns are and
23 provide you with the opportunity to put your
24 opinions on the record should you care to do so.
25 Consequently, you can provide a verbal comment here

1 with the comment cards or even just write down your
2 comments and not elect to speak so that we can
3 enter that into the record just as well.

4 A transcript of this meeting will be prepared
5 and the record will remain open until February 5th,
6 which is pointed out up here. Written comments may
7 be submitted to the email address and mailing
8 address that you see up here. Certainly all
9 comments will receive equal consideration. I would
10 just ask that the folks who are speaking tonight,
11 and right now we have two public comment cards,
12 please come forward to the microphone which is in
13 the center here and state your name and if
14 applicable what organization you represent. I ask
15 that you keep your comments pertinent to the
16 Loxahatchee River Watershed Restoration Project.
17 If you have comments outside of the project itself,
18 I'd be happy to meet with you immediately following
19 the meeting.

20 So the first individual for comment is Michelle
21 Diffenderfer.

22 Welcome, Michelle.

23 MS. DIFFENDERFER: Thank you very much.

24 Michelle Diffenderfer with Lewis, Longman & Walker.

25 I'm here this evening with the City of West Palm

1 Beach which, of course, is a partner and a member
2 of your Project Delivery Team meeting, but we just
3 thought we should also show up at the scoping
4 meeting and show our support as part of the
5 historic flow way to the Loxahatchee River. Of
6 course we're asking waters preserved be part of the
7 City's natural system but also a major part of the
8 City's water supply system and as such we would
9 just want to make sure that a study of that part of
10 the system is still a focus and goal of this
11 project. It's been a little amorphous as it's
12 reentered the world here. And of course we don't
13 have anything in writing yet, but we just want to
14 make it crystal clear that the City system which
15 has come to be know as Flow-way 1, that really grew
16 out of the original planning out here back in the
17 late 19s and early 2000s, so we became a part of
18 the flow way system from then and have been
19 functioning as such and I want to make sure that
20 doesn't get lost in the scoping of the Corps'
21 project. Because if you're starting from today,
22 you might look at that as existing conditions, but
23 for us, the City of West Palm Beach made that as
24 part of parcel of a project that was this project
25 before. So we want to make sure that concept

1 doesn't get lost in the fact that there are waters
2 flowing through our system today and actually
3 monies that the City has spent as a part of this
4 kind of history of the North Palm Beach project
5 that's now the Loxahatchee Watershed Project.

6 And then the City's very happy to be a part of
7 an environmental restoration partner on that, but
8 you have to realize, also, we want to make sure
9 it's a part of the study that water quality and
10 water quantity impacts occur to the City's water
11 supply system as a result of using Grassy Waters
12 Preserve as part of Flow-way 1 and that restoration
13 of connection. So it's kind of a multi-purpose
14 project for the City while being a restoration
15 benefit for the Loxahatchee River Slough system
16 absolutely, but we just want to have the water
17 quality aspect considered as part of this and then
18 the flowage so that as water flows through our
19 system and it's pulled for restoration purposes, we
20 want to make sure that doesn't negatively impact
21 the utility which also relies on that same shared
22 system. It's actually a very beneficial shared
23 system like much of the Everglades has become over
24 time. So that's really our key comment.

25 And then being in the southern part of this

1 Loxahatchee system, we want to make sure that the
2 lake lagoon that flows through the lagoon that
3 comes to the City of West Palm Beach are not
4 forgotten as part of this. I see that the lake
5 lagoon is still listed, I'm not sure where it will
6 fit into your scoping process and your study of
7 alternatives. So we just want to make sure that
8 bigger projects as we participated previously isn't
9 lost. I know you're trying to go with a similar,
10 more specific focus thing here, but there are some
11 very key pieces there that the City of West Palm
12 Beach was a historic partner on and would like to
13 remain on a partner on those issues. Thank you.

14 LT. COL. GRECO: Thank you.

15 The next public comment is from Woody Wodraska.
16 Welcome, sir.

17 MR. WODRASKA: Good evening. My name is Woody
18 Wodraska. I live in Jupiter. Formerly I was with
19 the South Florida Water Management District for 20
20 years, the last nine years as Executive Director.
21 I've been authorized to represent the Town of
22 Jupiter tonight. A concern -- and I was a critic
23 of the initial PIR planning process when it first
24 came out and felt that it lacked the focus and the
25 direction in keeping the eye on the ball that is

1 needed for water resource projects. That being
2 said, a lot of really good work was done in the PIR
3 process and my concern is you've had a process and
4 while Congress might have authorized the yellow
5 book in 2000, the planning process went back into
6 the early '90s so we've been working on this
7 project for 25 years. We know an awful lot about
8 this watershed. And my concern is the pendulum has
9 swung so far in the other direction. Say you've
10 got three years and \$3 million, what are we going
11 to jam into this process that I wanted to be -- I
12 want this to be a comprehensive review of the
13 Loxahatchee Basin. And as Michelle said, the role
14 Grassy Water plays and the Lake Worth Lagoon, the
15 Indian River, I want this to be more than just a
16 Mecca project and really looking at the entire L-8
17 Basin. I was very intrigued by your comments about
18 Lake Okeechobee. The one thing I think everybody
19 in the Jupiter area is in agreement, and I've got
20 to admit my thinking has changed on this, but I
21 used to say, you know, the Water Management
22 District and Corps will do the right thing, but
23 thank God we don't have a connection with C-18,
24 S-46 and Lake Okeechobee because I'm convinced that
25 the same damages that occurred in the St. Lucie

1 Estuary would have happened in the Loxahatchee
2 River if there would have been that direct
3 discharge. And from the Culvert 10 structures into
4 L-8, you can get water into the North Fork -- or
5 into the system, especially if there's an extension
6 of C-18 Canal. So keeping Lake Okeechobee water
7 out of Loxahatchee water basin is a top priority.
8 There's a concern. The Town of Jupiter has made a
9 huge investment in brackish water desalination, it
10 has some ASR projects.

11 One of the mysteries of water resources in
12 South Florida has been changing of the upper
13 Florida and finding out that the quality and the
14 source water changes and its had a -- it used to be
15 back in the '80s an unlimited potential for the
16 upper Florida. Now we're finding out that it does
17 have limits. And as you put in -- if you were to
18 put in systems, clearly the existing users have
19 concerns about what impact that might have on the
20 investment Jupiter has made with their groundwater
21 system. So these are all things -- and my concern
22 is you're on this fast track. The PIR process is
23 way too slow, way too ambiguous, way too big. Now
24 you've kind of got your .30-06 and you're saying
25 full speed ahead, we're going to hit this target

1 out there. And I think it's going to end up
2 somewhere in between those two extremes. But let's
3 not throw out all the good work that had been done
4 in looking for a comprehensive standpoint of what
5 needs to be done with the Loxahatchee Basin. It is
6 a complex area and it's a very special place and
7 this could be that blueprint for how we manage
8 water resources in the future of the county in the
9 north end, but it's got to be done right. Thank
10 you.

11 LT. COL. GRECO: Thank you, sir.

12 Deb Drum.

13 MS. DRUM: Hi. Good evening. I'm Deb Drum
14 with Martin County and I just wanted to say welcome
15 to all of the agencies that are represented here
16 tonight. We really appreciate you taking the time
17 to come to our community and talk about the
18 Loxahatchee River and the restoration that's taking
19 place. I've worked on the Loxahatchee for a lot of
20 years so it's nice to see -- to see another
21 opportunity to all come together to restore this
22 important ecosystem.

23 Martin County, I'm the Ecosystem Director for
24 Martin County and we remain committed as your
25 partner. We've been a large partner in the

1 Loxahatchee restoration. We've gotten some active
2 projects going on in the Kitching Creek area. We
3 have an active project ongoing and I'd be happy to
4 take any of you out there to see it in progress to
5 build a stormwater treatment area to clean the
6 water before it reaches into Kitching Creek which
7 is one of the main headwaters of the -- that
8 restores the river. So we're looking at
9 maintaining dry season flows for the Loxahatchee
10 with that project. We are also, our Board of
11 County Commissioners voted last year to set aside a
12 million dollars of land acquisition money to
13 continue land acquisition to try to get a more
14 active program back in acquiring the Pal Mar area
15 which is in your project area as well to see what
16 we can do to get some of those important wetland
17 areas under public ownership. And we've got a
18 number of other projects going on in Cypress Creek.
19 So we've tried to step out and we've taken some
20 leadership and building some new structures in that
21 watershed up along the Ranch Colony Canal. We
22 replaced the 28 storm structures recently. And the
23 operations of the area, the complexity of the
24 operations can't be underestimated so we would just
25 ask you to take that into consideration as we move

1 forward. We did proceed through the Loxahatchee
2 River Preservation initiative asking for some
3 design in planning, funding. And if we're
4 successful in getting funding from the legislature
5 this year, we can move on planning and design of
6 infrastructure along the Ranch Colony Canal that
7 will help the Loxahatchee River in some very
8 significant way. But we are looking for partners
9 for constructing that structure and we look to you
10 for consideration as we move forward in this
11 process. We will be at the table, we will be
12 active. Please let us know if there's anything we
13 could do to assist. Thank you.

14 LT. COL. GRECO: Thank you.

15 Are there any other comments? I'll let you
16 fill a card out afterward. Okay. So with that,
17 I'd certainly like to thank everyone for taking
18 their time out of your busy schedules to
19 participate in tonight's meeting. If you do have
20 additional questions or would like to discuss any
21 aspects of tonight's presentation, representatives
22 from the Corps and the Water Management District
23 will remain around and available by posters in the
24 back.

25 Thanks again, and certainly have a safe drive

1 home. Thanks.

2 Oh, one final thing is I'll put this
3 information up here again just in case you wanted
4 to access what Andy was talking about in terms of
5 schedules.

6 (Thereupon, these proceedings concluded at 8:04
7 P.M.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I, DIANNE MORRIS, Registered Professional Reporter, in and for the County of Martin, do hereby certify that in the matter of Loxahatchee River Watershed Restoration Project, a public hearing was held, beginning at the hour of 7:00 P.M. on January 12, 2015; that I was authorized to and did stenographically report the foregoing proceedings in that meeting, and that the foregoing pages, number 3 through 52, comprise a true and correct transcript of those proceedings.

Done and dated January 26, 2015, at Stuart,
Martin, Florida.

DIANNE MORRIS, RPR