

**HARBOR DEEPENING PROJECT**  
**PUBLIC MEETING**  
**ENVIRONMENTAL IMPACT ANALYSIS**

DATE: Thursday, October 25, 2012  
TIME: 7:00 p.m.  
PLACE: Jacksonville Cruise Terminal  
9810 August Drive  
Jacksonville, Florida 32226  
  
REPORTED BY: Amanda Robinson, RPR,  
Notary Public, State of Florida

FIRST COAST COURT REPORTERS  
2442 ATLANTIC BOULEVARD  
JACKSONVILLE, FLORIDA 32207  
(904) 396-1050

## 1 P R O C E E D I N G S

2 MR. BUSH: I am very fortunate to have  
3 one of the best planning jobs in the entire  
4 Corps of Engineers. I want to welcome  
5 everybody to our second public meeting on  
6 environmental impacts analysis for the  
7 Jacksonville Harbor Deepening Study.

8 And I just want to take a moment to  
9 remind everybody what we're about here.  
10 What we're about here is preparing a  
11 recommendation to Congress on modifications  
12 to the Jacksonville Harbor Project. And  
13 very simply put: That recommendation is  
14 going to be based on economics analysis,  
15 environmental impacts analysis. Now,  
16 there's a lot that goes into both of those,  
17 and tonight we're focusing on the  
18 environmental impacts analysis.

19 And the other thing I just want to  
20 emphasize is that, first of all, the great  
21 partnership we have with JAXPORT, because  
22 these are cost-shared studies that we do.  
23 And the information that we develop is -- we  
24 can only develop that if we have a good  
25 partnership with our cost-sharing partner;

1 in this case, it's the Jacksonville Port  
2 Authority.

3 We are focused on environmental impacts  
4 analysis tonight. And what we're doing here  
5 in this study, I think, is a little  
6 different than maybe the Corps of Engineers  
7 has done in the past, where we have a very  
8 concerted effort to have a transparent  
9 process and opportunity for public and  
10 agency involvement in the development of  
11 this project.

12 And so one of our objectives here is to  
13 wear you out with information. You know,  
14 and that's not something that we've always  
15 done in the past, but it's definitely  
16 something we're trying to do now.

17 In addition to these public meetings we  
18 have here out at JAXPORT, we also have  
19 teleconferences that the public and agencies  
20 can call into and gather information that  
21 way. We have information available on our  
22 website. And so we have lots of  
23 opportunities for you to provide your input.  
24 But those opportunities don't mean anything  
25 unless you take advantage of them. And so

1           this is an opportunity for the public, in  
2           particular, to get information.

3           And so here tonight we have lots of our  
4           technical team that can answer your  
5           questions. We have engineers, we have  
6           biologists and planners. And so I encourage  
7           you to take advantage of this opportunity to  
8           get information either through the  
9           presentations that you're going to see  
10          tonight or afterwards, because they'll be  
11          opportunities to ask questions privately.

12          So I just want to kind of give you the  
13          order of presentation tonight. We're going  
14          to hear from our partner, Mr. Kaufman from  
15          the Jacksonville Port Authority, in just a  
16          moment; and then our Environmental Chief,  
17          Mr. Eric Summa, will come up and lead the  
18          meeting, and that will be kind of a  
19          facilitated discussion. You will also hear  
20          from our Project Manager Jason Harrah, and  
21          he's going to walk you through the schedule  
22          and milestones and future opportunities for  
23          both informal and formal engagement.

24          And so with that, I would like to  
25          introduce Mr. Chris Kaufman, Chief Operating

1           Officer from JAXPORT. Thank you for having  
2           us here, Chris.

3           MR. KAUFMAN: Good evening. Again, I'm  
4           Chris Kaufman. I'm the COO for the Port  
5           Authority. On behalf of Paul Anderson, our  
6           CEO, and our Board, I welcome everybody here  
7           for this important briefing tonight.

8           Just out of curiosity, how many have  
9           never been to this terminal before? I'm  
10          just curious on how many it's their first  
11          time to this cruise terminal. Okay. Thank  
12          you for sharing that.

13          You know, as the Chief Operating Officer  
14          and as the Port Authority, we have always  
15          been engaged with the Army Corps of  
16          Engineers relative to the projects on the  
17          federal channel. And how many of you out  
18          here know today the depth of the federal  
19          channel? Okay. Forty feet. Why do you  
20          think we're at 40 feet today? We're at 40  
21          feet today because the goal was to get the  
22          river to be able to support the Panamax  
23          ships that were coming out of the Panama  
24          Canal, the two locks that were designed and  
25          built 100 years ago, okay.

1           As you all know, the river started out,  
2           you know, 15, 16, 18 feet, and it gradually  
3           went up a few feet at a time over that last  
4           century in order to support the commerce  
5           that was coming into Jacksonville, okay. So  
6           40 feet was the logical depth that we were  
7           looking for back in the '90s, because at  
8           that time that was the maximum draft that  
9           you could use going through the two existing  
10          locks of the Panama Canal.

11          And as Eric said, we've been partnering  
12          with the Corps this entire time. All these  
13          federal projects, by statute, are headed up  
14          by the Army Corps of Engineers. And yes,  
15          there's a local sponsor; in the case of  
16          Jacksonville, it happens to be the Port  
17          Authority.

18          But everyone in here is part of that  
19          team and is part of that sponsorship because  
20          this is your river as much as it is the  
21          commercial site. And I'm glad to see  
22          everybody here. I was hoping we'd have  
23          more; next time bring your friends. We need  
24          more people out here so that they can  
25          understand all of the dynamics that go into

1 this project that we're dealing with today,  
2 okay. It's very important. I want you to  
3 be knowledgeable and conversant in what's  
4 going on.

5 This project, to go deeper than 40 feet,  
6 has been in play now since about 2006. We  
7 finished the deepening all the way down to  
8 Talleyrand to 40 feet back in '10 or '9 --  
9 in '10.

10 UNKNOWN SPEAKER: Christmas.

11 MR. KAUFMAN: Christmas of '10. So why  
12 do we want to go deeper than 40 feet?  
13 That's a good question. We are looking at  
14 depths of water deeper than 40 feet for two  
15 reasons. One is that the Panama Canal that  
16 connects us with Asia, primarily China,  
17 Japan and Korea, coming through the Panama  
18 Canal, that the new set of locks, this is a  
19 third set, the original two are still in  
20 play, the third set of locks will open up in  
21 about 2015. The country of Panama has  
22 invested it.

23 These new set of locks will handle ships  
24 that can take a draft up to 50 feet of  
25 water, okay. The current locks handle ships

1           that can handle 40 feet of water. So this  
2           new set of locks is going to bring the  
3           opportunity to the east coast for larger  
4           ships that will make a greater efficiency in  
5           the supply chain of the movement of the  
6           cargo of -- on behalf of the shippers and  
7           the shipping lots.

8           So why Jacksonville? Jacksonville, as  
9           you know, we have partnered over times  
10          recently with MOL, Mitsui OSK Lines, out of  
11          Japan. We've built a post-Panamax terminal  
12          here at Dames Point, just adjacent to the  
13          terminal here, the cruise terminal. And  
14          they are designed and will be equipped to  
15          handle post-Panamax ships.

16          Post-Panamax ships, again, by  
17          definition, are those ships that cannot go  
18          through the two current locks and that are  
19          going to require deeper water, either  
20          through the new third set of locks in the  
21          Panama Canal or through the Suez Canal  
22          itself.

23          Now, the Suez Canal, connecting in the  
24          Indian Ocean up through the Mediterranean,  
25          that is deep enough to handle the ships that

1 we are planning on in the future from an  
2 international standpoint.

3 And why is the Suez Canal important?  
4 Can anybody tell me why? Do you think the  
5 Suez Canal is important to the east coast?  
6 Frankly, it's because labor, which is the  
7 lowest common denominator relative to  
8 producing commerce is shifting -- the lower  
9 costs are going down into Indonesia, into  
10 India, into Vietnam. So as the lower labor  
11 costs go down, the manufacturing shifts to a  
12 certain degree. And then those commercial  
13 products that we're buying at Lowe's, at  
14 Walmart, at K-Mart, Coach purses, you name  
15 it, are now being shifted down through the  
16 southeast part of Asia. And their  
17 transportation route to the east coast is  
18 through the Suez Canal. So the Suez Canal  
19 can handle those ships that are post-Panamax  
20 limited, they can handle the post-Panamax.

21 We have today at Dennis' terminal one  
22 service that weekly comes out of the Suez  
23 Canal today, but that service is  
24 post-Panamax ships, but they're limited to  
25 40 feet of water. And these ships can come

1 in potentially at 44, 45 feet of draft and  
2 leveraging the capacity that the ship was  
3 designed for, but they can't do that today  
4 because of the 40-foot channel, okay.

5 So the growth to this region, not only  
6 to Duval County but to Northeast Florida,  
7 into this port, is the future growth,  
8 relative to jobs and relative to economic  
9 impact, is going to be through partially the  
10 increased growth of Asian trade into  
11 Northeast Florida through the Port of  
12 Jacksonville.

13 And as important as the import is the  
14 export, okay. Don't forget how important  
15 the export part of the equation is, when  
16 you're talking about U.S. jobs to  
17 manufacture, to produce, to containerize and  
18 to ship back to Asia. The products that are  
19 coming into Asia -- I mean, from Asia into  
20 Jacksonville that are disbursed throughout  
21 this region of the U.S., you know, our  
22 consumer products. But there are consumer  
23 products that are in demand in Asia that are  
24 manufactured in the U.S., so that export is  
25 just as important as the import.

1           We can export more by having the deeper  
2 water, as well.

3           Export containers, interestingly enough,  
4 are generally heavier than the importing  
5 containers that we get from Asia. The types  
6 of commodity that are manufactured in Asia  
7 have a lighter weight in general than those  
8 types of commodities that are coming from  
9 the United States back to Asia.

10          Dennis will tell you they're moving  
11 citrus products, forest products, items  
12 that, you know, their density is such that  
13 they're heavier and they require the ability  
14 to go deeper from the standpoint of the  
15 depth of water that we have today.

16          So the Asian trade, frankly, is what's  
17 driving our partnership with the Army Corps  
18 of Engineers to go deeper than 40 feet,  
19 which we have to date. And that equates to  
20 jobs for imports and exports, as well as the  
21 economic impact to this region, so that's  
22 important to keep in mind.

23          Now, what you're going to hear tonight  
24 is this very detailed study, which, again,  
25 we've been doing this, the Corps has been

1           doing this since 2005, 2006, and they've  
2           been full-time on it. And tonight you're  
3           going to hear about the environmental  
4           impacts of the study on the modeling that  
5           they've done.

6           Listen, no one is more concerned about  
7           balancing the environmental aspects of this  
8           than the Corps and the Port. We are not  
9           going to sacrifice the environmental  
10          situation that we have here in Northeast  
11          Florida for economic standpoint. There has  
12          got to be a balance.

13          And the studies that they've gone  
14          through in the mitigation that will come up  
15          are going to be that balance and will give  
16          us that depth of water below 40 feet that  
17          will meet the balance between the economics  
18          and between the environmental impact.

19          And so with that, I'm looking forward to  
20          hearing this myself, I've seen it once  
21          before, but I'm looking forward to hearing  
22          it again. I ask you to, if you've got  
23          questions, ask them. And if I can, Eric, if  
24          anybody has a question for me before I get  
25          done, I'll be more than glad to answer it or

1 talk about it, or after the session,  
2 whichever.

3 Okay. Seeing none, I will turn it back  
4 over to Eric.

5 MR. SUMMA: That was great. I really  
6 appreciate that, Mr. Kaufman.

7 He just hit on a lot of the most  
8 significant points that I hope you guys take  
9 away from this meeting tonight.

10 My name is Eric Summa. I'm the  
11 Environmental Branch Chief for the  
12 Jacksonville District Corps here.

13 And yes, this is the second of five  
14 public meetings that we have planned for you  
15 guys tonight. And this is a very focused  
16 meeting. We're showing you the preliminary  
17 results from our ecological and water  
18 quality modeling. It's just that. That's  
19 all we're doing tonight.

20 So you might ask why. Why are you so  
21 focused on just this one subject? I'll give  
22 you three reasons. One, it's because, you  
23 know, when we first started this back in  
24 2006, 2007, we started going around and  
25 asking folks -- we do scoping meetings as

1 part of our process, we go around and we  
2 have meetings. We had two meetings where we  
3 asked the public, hey, we're considering  
4 doing this, we're partnering up with the  
5 Port, Congress has authorized us to do this  
6 feasibility study to see if this is a good  
7 idea. What are your concerns?

8 And you, the public, came back and told  
9 us many times that you're concerned about  
10 the river. You're concerned about the  
11 potential impacts of any deepening scenario  
12 to the river.

13 And we understand that, it's very  
14 important to us, too. You voiced it, so  
15 we're spending a lot of time on that  
16 specific question. So that's what you're  
17 going to see a little bit of tonight, the  
18 preliminary results of that analysis.

19 So if you came here tonight looking for  
20 other information such as what might be the  
21 economics that are driving this study, or  
22 where are you today, Corps, with the  
23 mitigation scenarios that you're considering  
24 here. Frankly, we're just not ready for  
25 that yet. And so that's why this is the

1 second of five public meetings.

2 Some people are concerned about the  
3 potential for blasting. We don't even know  
4 if we will blast; however, because this  
5 study is going to be comprehensive, and if  
6 it gets approved by Congress and if it goes  
7 to contract, because we're the federal  
8 government, we're going to be very, very  
9 fair in offering bids to any and all  
10 companies who might want to take on the job,  
11 again, if it gets to that point.

12 And so some companies may elect to  
13 blast. So because of that, we're going to  
14 draw some very, very tight parameters around  
15 that opportunity. It's going to be very,  
16 very protective. And we're going to have an  
17 entire public meeting that's just dedicated  
18 to sharing information with you about that  
19 plan.

20 So if you came here tonight looking for  
21 additional information, we're just not going  
22 to be able to do it. But I am going to  
23 encourage you to write down any comments or  
24 questions that you have that are outside the  
25 information we're going to provide you

1           tonight, because we will get those questions  
2           answered.

3           So the other two reasons why we're  
4           focused so heavily on this particular aspect  
5           is, one, we're talking about  
6           state-of-the-art technology that we're  
7           employing here. The models that we're using  
8           are models that were developed by the Water  
9           Management District that are on data that  
10          was collected from the St. Johns River.

11          It's pretty rare for our organization or  
12          any organization to get a model that's so  
13          specific to a geographic location. Data was  
14          collected on the St. Johns River by the  
15          Water Management District, by the DEP and by  
16          others. That data was plugged directly into  
17          these models. These models were provided to  
18          the National Academy of Sciences and other  
19          entities to take a look at it to say, hey,  
20          is this a good way to evaluate the river.  
21          And those reports from those entities came  
22          back and said, yes, this is a really good  
23          way to evaluate the river.

24          So that led us to use these models. It  
25          gave us a lot of confidence that we are on

1 the right track. So that's the second  
2 reason that we wanted to be so focused and  
3 tell you about -- give you this specific  
4 information on these models tonight, because  
5 they are pretty heavy-duty, they're pretty  
6 technical. And so it's going to take us a  
7 little while to explain it.

8 The third reason is because, honestly,  
9 the staff that are here tonight from the  
10 Corps of Engineers. Anybody who is working  
11 for the Corps, raise your hand tonight, and  
12 folks that worked on the model who are here  
13 tonight, also raise your hands.

14 All the people, all the hands you saw,  
15 all these folks live here in Jacksonville or  
16 around Jacksonville, primarily are  
17 engineers, biologists, planners. We all  
18 have a love of the river. We all have a  
19 love of the community. We want to make sure  
20 we're doing this thing right. So it's  
21 really important to us. We're personally  
22 invested in doing this thing and doing it  
23 right. So that's the third reason why we're  
24 so focused and taking so much time on this.

25 So tonight, again, we're going to be

1 talking about the preliminary results from  
2 the application of these state-of-the-art  
3 models. So I want to provide you an idea of  
4 what it is you're about to see and, perhaps,  
5 more importantly, what it is that we're not  
6 going to be able to show you tonight.

7 So because we're using models, we're  
8 talking about models, these things are just  
9 tools. So all tools have their limitations.  
10 So because this tool was developed by the  
11 Water Management District and it's got the  
12 endorsement of the National Academy of  
13 Sciences and National Research Council, we  
14 feel pretty good about it.

15 But whenever you're establishing or  
16 whenever you're applying a model, one of the  
17 first things you do is you set up the  
18 boundary conditions for the model. So  
19 hopefully -- I'm not going to go too deeply  
20 into this, but I hope this is helpful.  
21 Whenever you're trying to assess something,  
22 you have to draw your boundaries, you have  
23 to decide, okay, what's my box look like  
24 before you even get started.

25 Because this study is so important and

1           because people have voiced so much concern  
2           over what, how the potential deepening may  
3           affect the river, we made sure we drew that  
4           box pretty small. We made sure those  
5           boundaries were pretty tight. So the  
6           decisions about whether making those  
7           boundaries really wide or small decide  
8           whether or not that model is going to be  
9           sensitive or not very sensitive to the  
10          information you're putting into it.

11                 Because we drew those boundaries very  
12          small, and I'll tell you how we did that in  
13          a moment, this model is very, very  
14          sensitive. So we're able to pick up a lot  
15          of information over even small alternatives  
16          that are applied to it.

17                 So the way we did that -- well, first of  
18          all, let me tell you that the reason why --  
19          the main focus of the ecological models here  
20          is on salinity. And the reason we chose  
21          salinity is because, when we talked about  
22          the potential to deepen the river, people  
23          were concerned about how the estuary might  
24          change.

25                 There are people that see porpoises down

1 in the Ortega River area, see them fairly  
2 frequently. But in that exact same area, I  
3 have a lot of friends and family that often  
4 see bass in the exact same area, or fish for  
5 bass in the exact same area. It is a very  
6 dynamic river that we have here. It is an  
7 estuary. It has a lot of significant  
8 benefits.

9 So the concern was, if you deepen the  
10 river, you're going to get this big slug of  
11 dense, heavy saltwater. You guys all know  
12 that saltwater is heavier than freshwater.  
13 And that it would push up the river with the  
14 deeper channel and that it would affect the  
15 river, and so we would no longer have bass  
16 in the Ortega River area. We would change  
17 the composition of the wetlands that are in  
18 the main stem of the river. We would change  
19 the Vallisneria beds, which are the habitat  
20 for shrimp. That was the big concern we  
21 heard from you guys.

22 So a lot of what you're going to see  
23 tonight is an example of what would happen  
24 with the salinity if you change the depth of  
25 the main river channel. So that's the big

1 focus.

2 So we want to make sure these things  
3 were sensitive enough to pick up even the  
4 smallest anomaly. And the three ways we  
5 made that box even smaller were, okay, so if  
6 you have a cup of salty water and you want  
7 to change the amount of salt in that water,  
8 you would just normally add freshwater,  
9 right.

10 Imagine the river being the same way.  
11 The river changes its salinity just through  
12 the flush and the ebb and the flow of the  
13 tide. Happens every day, the salinity moves  
14 up and down the river. Three factors change  
15 that: Rain falling out of the sky, rain  
16 washing off of the watershed and anything  
17 that's pulled out the river, any water  
18 that's withdrawn from the river. So we use  
19 those three pieces of information to make  
20 that box really small.

21 What we did is we took our period of  
22 record for rainfall and we used six years of  
23 a period of record. Three of those years  
24 are the driest years in 78 years that we've  
25 been collecting this data, three of the

1 driest years, and consecutive years.  
2 There's four total dry years and two wet  
3 years.

4 So just because you're limiting your  
5 model scope to limited rainfall coming down,  
6 you're talking about a very dry, dry river,  
7 not getting a lot of rain coming in, so it  
8 can't push that heavy saltwater or dilute  
9 that saltwater. So we thought that was  
10 drawing the box really, really small.

11 The other thing we did is we used the  
12 1995 land use information that the Water  
13 Management District had. They had land use  
14 information that was 1995 and then they had  
15 another projection which was 2030. We had a  
16 choice. The 2030 said you're going to get a  
17 lot more freshwater coming off of the land  
18 and into the river. That would have changed  
19 the results potentially of the deepening  
20 scenario. That would have changed the  
21 results that we would have seen.

22 So we decided to draw that box even  
23 smaller and use the 1995 runoff scenarios,  
24 which, again, are going to be limiting the  
25 amount of freshwater coming in and the speed

1 of that freshwater coming in. So again,  
2 it's making the model even more sensitive.

3 And the last thing we did is we thought  
4 about the third component I mentioned, the  
5 third factor, the withdrawal rates. What we  
6 did is we took the Water Management  
7 District's recent water supply study and we  
8 took one of their longer-term scenarios,  
9 155-million-gallons-per-day withdrawal,  
10 which is not where they are now with the  
11 minimum flows and levels rate that they've  
12 set. And it's not a rate that's been  
13 approved currently. It's a rate that may be  
14 approved in the future.

15 But we decided to, again, be very  
16 statistically conservative about our  
17 approach here, so I just wanted to share  
18 that with you. So the information that  
19 you're going to see up here tonight is  
20 information from a very sensitive model,  
21 where you see changes in the river that the  
22 model will reflect. Those are during fairly  
23 low probability times; times when it would  
24 be very dry, when we had a lot of water  
25 being withdrawn from the river to meet the

1 freshwater needs of the populous, and also,  
2 with very limited runoff scenarios, okay.

3 So I hope that's clear for everybody. I  
4 hope that kind of sets up what you're going  
5 to be seeing.

6 And then lastly, you know, if you guys  
7 have some questions about this, we had a  
8 presentation on this data on Monday. It  
9 took three-and-a-half hours to go through  
10 it. We're not going to kill you guys with  
11 that tonight. It's way, way too technical.

12 But it had a lot of very good  
13 information in it. If you would like to see  
14 the more technical presentation, it's going  
15 to be on our website, I think it's going to  
16 be up there Monday, is that correct, guys,  
17 the presentation we had Monday, okay. So it  
18 should be up Monday. We have a specific  
19 website that's just for this particular  
20 project. If you want to see the full study,  
21 it's going to be up there for you.

22 So again, this is all for you. This is  
23 to let you see where we are now, to get your  
24 feedback on where we are. If you don't  
25 think that we've gone far enough or looked

1 at an appropriate place, if you think we're  
2 missing something, this is your opportunity  
3 to tell us.

4 If you want to give us some verbal  
5 comments tonight, great. If you want to  
6 write them down or send them to us in  
7 e-mail, there are comment cards here, feel  
8 free to write any comment or question down,  
9 and we'll make sure that we get it answered.

10 And with that, I'm going to turn it over  
11 to Mr. Steve Schropp of Taylor  
12 Engineering -- oh, Jason first. We're going  
13 to get to Steve. First it's going to be  
14 Jason Harrah is the Project Manager on this  
15 project. He's going to give you kind of an  
16 introduction of where the study has been and  
17 then we're going to get into the technical  
18 science. Jason.

19 MR. HARRAH: Can everyone hear me okay  
20 without standing behind the microphone?  
21 Good. I'm not much for standing in front of  
22 microphones. I'd rather walk around a  
23 little bit if that's okay.

24 Again, my name is Jason Harrah. I'm the  
25 Project Manager from the Corps of Engineers.

1 I have the privilege to represent a highly  
2 technical team of folks not only from the  
3 Corps of Engineers but from Taylor  
4 Engineering, as well, who we hired due to  
5 their expertise in this modeling effort.  
6 They've been a tremendous help thus far.  
7 And we certainly look forward to the  
8 opportunity to continue to work with them to  
9 further this project along.

10 You'll hear from Dr. Schropp.

11 Dr. Schropp, I'll give him the opportunity  
12 to introduce his people, as well.

13 But from the Corps' perspective, we've  
14 spent a lot of time on this presentation. I  
15 think you'll like it. And I do appreciate  
16 everyone on my team, especially taking the  
17 time to go through and create the slides  
18 that you'll see shortly.

19 Just some key folks, obviously we have a  
20 lot bigger team than is up on this  
21 PowerPoint: Again, I'm the Project Manager.

22 Steve Bratos, Steve, raise your hand.  
23 He's one of our senior engineers responsible  
24 for overseeing the modeling and working with  
25 Taylor Engineering directly.

1 Paul Stodola, Paul, raise your hand.  
2 Paul is one of our senior biologists for the  
3 Corps of Engineers. He works for Mr. Summa.  
4 Paul is also working directly with Taylor  
5 Engineering looking at some of these  
6 modeling results as they come out.

7 Mike Hollingsworth, Mike, raise your  
8 hand. Mike is another senior biologist on  
9 our team. Mike will be heavily engaged not  
10 only with this modeling effort, but, once we  
11 begin submitting for water quality permits  
12 with the Florida Department of Environmental  
13 Protection, Mike will be adamantly involved  
14 in that to assist and make sure everything  
15 goes smooth that way.

16 Taylor Engineering, we have Dr. Schropp  
17 will be doing presentation; Dr. Stites is  
18 also here; and Dr. Kabling is not here. So  
19 we got two out of three, two of the best,  
20 we'll leave it at that.

21 Study overview: Jacksonville Harbor is  
22 located in Duval County -- several people  
23 know that since most of us know the river or  
24 either live on it -- begins at the mouth of  
25 the St. Johns River where it empties into

1 the Atlantic Ocean.

2 Essentially, Mr. Kaufman hit on several  
3 key points, the Harbor provides access to  
4 deep draft vessels trafficking using  
5 terminal facilities that are located in the  
6 city of Jacksonville, and there are several.

7 Study overview: Where exactly are we  
8 studying this project? Now, what I'm going  
9 to point out to you is where the channel  
10 will be deepened to provide access -- I'm  
11 getting moved out of the way. I'm covering  
12 people's eyes here, sorry about that.

13 Where exactly will we be deepening to  
14 allow access to these bigger ships? The  
15 channel will be deepened, as part of this  
16 study, from the mouth here at the Atlantic  
17 Ocean all the way in, segment one, all the  
18 way to River Mile 13. And that's  
19 essentially where we're sitting tonight.

20 There are other segments of the river,  
21 segment two goes all the way to Talleyrand.  
22 Segment three is in the west Blount Island  
23 channel.

24 But this study here is focused on  
25 deepening from here all the way to River

1 Mile 13, taking that channel from 40 feet to  
2 whatever the tentatively selected plan  
3 becomes, somewhere between 40 feet and 50  
4 feet. We don't know that yet. We're  
5 expecting that in January of 2013.

6 Now, as everyone knows, there was some  
7 work done out here for Mayport, so there is  
8 some dredging that would not occur in here  
9 due to the Mayport deepening that's already  
10 occurred. But essentially, for study  
11 purposes, we say 0 to 13.

12 Study goals: Mr. Kaufman hit on several  
13 of these, provide transportation cost  
14 savings, speed is the currency today.  
15 Bigger vessels haul more cargo, get it there  
16 more efficiently.

17 Finally, we're going to have a lot of  
18 material that has to be placed somewhere.  
19 It will depend greatly if we're closer to a  
20 40-foot project or a 50-foot project, that  
21 will tell us how much material we have. So  
22 we have to find a good place to store all  
23 this material.

24 Lastly, we want to accommodate the  
25 existing and the larger commercial ship

1 traffic while minimizing impacts to  
2 environmental resources. The latest stories  
3 I hear from the Panama Canal, we're talking  
4 a June 2015 time frame for the Panama Canal  
5 to be opened. And those larger ships will  
6 then start coming in. And these ports want  
7 to be ready to receive those larger vessels.

8 Agency and public coordination efforts  
9 today: This is just highlighting a bold  
10 list of some things that we've done thus  
11 far. I won't go through all of them. We  
12 have had feasibility scoping meetings, 2007  
13 we had a public scoping letter went out.  
14 We've had public workshops. The most  
15 recent, July 2012, we had initiated our  
16 monthly interagency and bimonthly  
17 teleconferences.

18 In May 2012, in this room, we had a  
19 public meeting on the ecological. That was  
20 our first meeting, to kind of introduce you  
21 to some of the stuff we'd be modeling.

22 The key one here is the July 2012. And  
23 I made the decision to not only monthly we  
24 meet with all the agencies, and we get  
25 pretty good feedback from that. We have

1 several agencies, EPA, National Marine  
2 Fishery, National Park Service. Some  
3 agencies call in, voice their opinion, ask  
4 questions about the study.

5 Bimonthly, we have now provided the  
6 opportunity bimonthly for the public to call  
7 in. You're going to hear exactly where  
8 we're at in the study. You're going to have  
9 the opportunity at the end of those meetings  
10 to ask questions.

11 The report will come out, you'll see in  
12 the schedule here shortly where the report  
13 is going to come out. I would like to try  
14 to address all of your questions or get a  
15 lot of those questions addressed early on in  
16 the study process to hopefully alleviate  
17 some of your concerns when you see this  
18 report when it comes out on the website for  
19 your review. So anything I can do to  
20 alleviate those concerns or the team can do  
21 now, before the report hits the streets, is  
22 that much farther ahead we'll be.

23 Anticipated future interagency and  
24 public meetings: October 12 the ecological  
25 preliminary result meeting that you're going

1 to hear Dr. Schropp present, that's what  
2 we're doing now. November we'll have agency  
3 mitigation and monitoring planning meetings.  
4 December we'll have ecological modeling  
5 draft report meeting. A key meeting that  
6 I'm sure a lot of people will have interest  
7 in is in February 2013, rock removal public  
8 meeting.

9 Why are we waiting all the way until  
10 February to have a rock removal meeting?  
11 Well, because our team will not have a  
12 tentatively selected plan. And what I mean  
13 by that is where are we going to go from 40  
14 to 50 until January 13. So I don't want to  
15 paint a picture that all this blasting is  
16 going to occur, we're going to go all the  
17 way to 50 feet until I know what the plan is  
18 going to be. So that's why we're waiting  
19 until February of '13 to present that.

20 May of 2013, that's when all of this  
21 information we're doing, all the  
22 environmental, all the ecological, all the  
23 economical, all this stuff will be put into  
24 one document with the environmental impact  
25 statement and will be put out for public

1 review. That's a key starting point. And  
2 we'll have a public meeting to kick that  
3 off.

4 October 13 that's when the report has  
5 been reviewed by the public, we've answered  
6 your questions, we've revised the documents,  
7 we've answered questions from numerous  
8 folks, independent engineering companies  
9 have the opportunity to review our report.  
10 We have all those answered, we've revised  
11 the document, and at that point we consider  
12 it final.

13 Again, as I mentioned earlier, the  
14 monthly interagency and bimonthly public  
15 teleconferences, we will continue those. We  
16 will let the public call in and we'll  
17 address your questions as needed.

18 As we also mentioned, I think Mr. Summa  
19 mentioned some of the reports are coming out  
20 onto the website. This is the website here.  
21 Obviously, it's kind of maybe hard to read.  
22 We can write it down for you guys. I think  
23 we have cards to hand out.

24 MS. ELLISON: The website is on the  
25 handout you received.

1           MR. HARRAH: The website is on the  
2           handout you received. Every time we have  
3           these bimonthly meetings, we also do  
4           detailed meeting minutes for those with a  
5           Q-and-A portion at the bottom. We post  
6           those to the website, as well. So if you  
7           forgot what a question was and want to go  
8           back and look, those will be put on the  
9           website so you can go look at those meeting  
10          minutes from every one of those meetings.

11          Study schedule: Some people know  
12          President Obama was in Jacksonville and did  
13          a release on major ports, the weekend weight  
14          initiative. I think everybody has probably  
15          heard that announcement. Jacksonville Port  
16          was one of the ones privileged enough to be  
17          part of his presentation.

18          These are the dates that were outlined  
19          in that White House directive that the  
20          teams, not only Corps of Engineers' team,  
21          but all federal agencies that are our  
22          partners are working to meet. April 2013 is  
23          when the draft feasibility report, with the  
24          environmental impact statement, that's what  
25          SEIS is, supplemental environment impact

1 statement, will be completed.

2 About a month later in May is when the  
3 report will come out for the public to have  
4 the opportunity to review. October 13 is a  
5 few months later, we've addressed everyone's  
6 concerns, we've revised the report, and it's  
7 considered final.

8 April 2014 is when the Chief of  
9 Engineers' report is complete. That's when  
10 everybody has bought off on it, we've done  
11 our multiple layers of government review.  
12 We've dotted our Is, crossed our Ts.  
13 Everybody agrees that the report we've  
14 completed is feasible and the best bang for  
15 the buck for the taxpayers of America.

16 July of 2014 the Assistant Secretary of  
17 the Army, ASA, will send a letter to  
18 Congress and the record of decision will be  
19 signed for the NEPA process. At that point,  
20 when will we advertise the contract and what  
21 will we construct, I don't know; that's for  
22 Congress to decide.

23 Our job is to get the report completed,  
24 to send it off to Congress to allow them to  
25 make that opportunity and decide when we

1 will receive authorization and funding to  
2 move forward.

3 One thing I want to hit on, there has  
4 been -- several people asked the question,  
5 how can you take these dates, you may notice  
6 in other presentations or something you've  
7 seen that essentially what we have done is  
8 shift the entire project schedule about 14  
9 months to the left, okay. That was part of  
10 President Obama's initiative.

11 How can we do that and not skip and hop  
12 and dance away from all these important  
13 things that need to be done? Essentially,  
14 we are going to do everything that we  
15 promised to do when this study started.  
16 We're going to do every environmental check,  
17 every economical check, every check that  
18 needs to be done for the report is still  
19 going to be done.

20 Where we're buying time is all of these  
21 reviews that occur at our division level in  
22 Atlanta, our headquarters offices, any  
23 independent external peer reviews from an  
24 outside engineering agency looking in, all  
25 these reviews including the public review

1 now start on the same day and they go out.  
2 So we save an enormous amount of time not  
3 doing these reviews back to back. That's  
4 part of our civil works transformation that  
5 we're working to expedite the study review  
6 process. So we are not cutting anything out  
7 environmentally from our study.

8 And that's all I have. I'll turn it  
9 over to Dr. Schropp for presentation.

10 MR. SCHROPP: I'll do the same thing.  
11 Can the folks in the back hear me?

12 MS. ELLISON: Please use the microphone,  
13 or the one on the stand.

14 MR. SCHROPP: Can everybody hear me now?  
15 Okay. Good.

16 Thank you, Jason.

17 The first thing I want to do this  
18 afternoon, or this evening, is make one more  
19 introduction that we have another member of  
20 our team here tonight. Xiaohai Liu, if you  
21 could raise your hand for a minute. Xiaohai  
22 has been living, breathing models for  
23 several months now, so he's an important  
24 member of our team.

25 The other thing I want to say is that

1 Eric Bush mentioned that we want to wear you  
2 out with information. I'm going to try not  
3 to wear you out tonight, but hopefully give  
4 you enough information to where you start to  
5 see some of the results that are coming out  
6 of the ecological models, give you some idea  
7 of what the capabilities of these models  
8 are.

9 Couple introductory remarks, this may  
10 look similar to what you saw at the first  
11 meeting, but what is the purpose of this  
12 ecological modeling study? It's part of the  
13 overall environmental assessment for the  
14 project, which goes to support the Corps'  
15 requirements under the National  
16 Environmental Policy Act.

17 For this part of the study, Jason  
18 mentioned that the project, the deepening  
19 project, occurs right up here during the  
20 first 13 miles or so of the river. Our  
21 ecological study, because the effects of  
22 deepening, the effects of salinity intrusion  
23 that Eric Summa talked about that extend  
24 further upstream, the geographic scope of  
25 our ecological modeling studies extends from

1 the mouth all the way down to Lake George,  
2 so roughly 110 miles of river.

3 And as Eric mentioned earlier, that is  
4 because the deeper channel could cause  
5 additional title flow, or title flux, of  
6 saltwater in and out of the river, which  
7 could affect salinities on upstream in the  
8 river.

9 Why do we care about these potential  
10 changes in salinity? Again, Eric kind of  
11 summarized this for us, but we do know that  
12 potential effects of salinity increases in  
13 the river are changes in the wetland  
14 communities, the swamps and marshes that lie  
15 in parts of the riverbank that occur in some  
16 of the tributaries to the river.

17 Salinity stress could cause changes in  
18 the eelgrass, the submerged aquatic  
19 vegetation habitat in the lower part of the  
20 river, could cause some change in the  
21 suitability of habitat, salinity habitat at  
22 least, for the eelgrass, which is an  
23 important component for many other plants  
24 and animals in the river.

25 We could see shifts in optimal fish

1 salinity ranges, that could cause fishes to  
2 move to different parts of the river or, in  
3 some cases, could even force the fishes into  
4 areas in which habitat is less suitable.  
5 The salinity may be good, but the habitat  
6 might be less suitable. So we'll look at  
7 those kind of shifts.

8 Loss of low salinity habitat for benthic  
9 macroinvertebrates, shrimp, clams, crabs,  
10 which everybody is familiar with, as well as  
11 things that aren't so obvious like worms and  
12 smaller crustaceans that live in the  
13 sediments, could lose a portion of their low  
14 salinity habitat. We could see shifts in  
15 those communities upstream.

16 And not so much a salinity effect, but  
17 changes in water circulation could also  
18 cause some changes in plankton blooms. So  
19 we're looking at potential changes related  
20 to water movement in the river and potential  
21 effects on plankton blooms.

22 The basis for these tools, the  
23 ecological modeling tools, is found in the  
24 St. Johns River Water Management District's  
25 water supply impact study. A lot of you are

1 familiar with that study. It provides a set  
2 of tools that allows us to look at each of  
3 these ecological communities. And following  
4 the procedures, following the strategy, the  
5 approach, that the Water Management District  
6 used, we have a series of both numerical  
7 models to simulate physical conditions, as  
8 well as ecological models that will help  
9 simulate changes in these five key  
10 communities, five key components.

11 I'll just briefly run through the  
12 stepwise process we go through to apply  
13 these models. We start off with the water  
14 circulation in the salinity model. We use  
15 the term EFDC, environmental fluid dynamics  
16 code model, we just say EFDC. That's a  
17 numerical model that simulates changes in  
18 circulation, simulates changes in salinity.  
19 And we can plug in the starting condition  
20 from the river, as well as different  
21 alternative channel depths and determine  
22 what changes in the river salinity and water  
23 circulation occur.

24 We take the results of that model and  
25 use various forms of the salinity data,

1 various forms of the water circulation, or  
2 really water residence time, water age data  
3 as information to feed the different  
4 ecological models. And each of the  
5 ecological models functions a bit  
6 differently, it works a bit differently.  
7 Some of them, for example, plankton is based  
8 on regression equations. Others, wetland  
9 vegetation, is based on salinities that  
10 define where wetland communities can occur,  
11 various measures of impact or measures of  
12 effect on these different communities that  
13 we can determine based on the results of the  
14 EFDC model.

15 Lastly, we are spending some time  
16 working on another numerical model, or set  
17 of numerical models, a water quality set,  
18 which allows us to simulate dissolved oxygen  
19 and chlorophyl A in the river. These model  
20 tools are a somewhat different version,  
21 slightly different version, of EFDC model  
22 based on, again, some Water Management  
23 District work looking at total maximum daily  
24 loads and a model called the CE-QUAL ICM  
25 model, which does the actual simulation of

1 the dissolved oxygen chlorophyl A.

2 So what I want to do for the next few  
3 minutes is run through each of those models  
4 and tell you a little bit about what we're  
5 doing with them and then show you some of  
6 the first results that are coming out of  
7 them. The EFDC model covered a pretty large  
8 area. I'm not sure how well you can see  
9 that. But the EFDC model is set up with  
10 almost 5,000 cells. Each one of these  
11 little squares is a cell, or rectangle. In  
12 six vertical layers it is a  
13 three-dimensional model. It measures things  
14 from both the horizontal, as well as  
15 vertical direction.

16 Feeding that model are information about  
17 ocean water levels, rainfall, wind, lateral  
18 inflows from tributaries from point source  
19 discharges. As Eric Summa mentioned, we  
20 used the 1995 land use data from the Water  
21 Management District to develop some of the  
22 inflows, salinity out here at the ocean  
23 boundary. So a lot of data go into the EFDC  
24 model to simulate the conditions in the  
25 river.

1           This slide illustrates another point  
2           that Eric made; and that is, that the period  
3           that we chose to simulate, period from 1996  
4           to 2001, is a period that contains three of  
5           the most dry years to occur consecutively  
6           during the 70-some-odd period of record for  
7           the river. The vertical bars on the chart  
8           represent the flow in the river. In this  
9           case, we've just shown from 1993 to 2011.

10           The Water Management District modeled  
11           this entire period from 1996 to 2005. We've  
12           chosen a subset of that because we feel like  
13           it does give us a more, we use the term,  
14           conservative; we're more likely to  
15           overestimate impacts than underestimate  
16           impacts. And we don't want to  
17           underestimate.

18           I'm going to try to show you a brief  
19           illustration of the results that we get from  
20           the EFDC model. If my animation works, what  
21           we'll see are salinities, the red colors  
22           being ocean salinities, the blue color being  
23           freshwater. And we have a graded scale in  
24           between the two.

25           What this figure will represent is

1 starting at the mouth of the river and going  
2 upstream. Unfortunately, these are feet,  
3 but that's roughly 5 miles, 10 miles, 15.  
4 You see some points, landmarks, mentioned  
5 here, river mouth, Dames Point Bridge is  
6 roughly here, Acosta Bridge here at the  
7 deepest spot, Buckman, Shands, river depths  
8 and distance upstream.

9 What you'll see the model doing is  
10 you're seeing the highly saline water come  
11 in from the ocean. In this case, more  
12 water, more saline water, moving in a little  
13 bit along the bottom. And right now we're  
14 in January of 2001, this entire animation  
15 will run for about a year, and we'll speed  
16 through it.

17 But you see, as time goes by, as you get  
18 into the drier part of the year, we see  
19 greater salt content moving up into the  
20 river. And over time you'll see that this  
21 salt wedge will extend roughly up to the  
22 Acosta Bridge with the most saline water.

23 We'll advance it if we can. It takes a  
24 long time to run through this thing, but as  
25 you get on later into the year, now I'm look

1           ing at roughly September, which is a period  
2           when we typically have more rainfall, we can  
3           see the effects of more rainfall, the more  
4           inflow to the river. The freshwater has  
5           moved farther downstream, pushing the  
6           saltwater out farther towards the mouth of  
7           the river.

8           So we have many simulations that cover  
9           different conditions. And what we do then  
10          is extract the salinity data from this  
11          model. In some cases, we use average data  
12          for the entire simulation period. Other  
13          cases we may take 30-day or 90-day average  
14          chunks. It depends on the particular  
15          ecological model and what form of the  
16          salinity function drives that model.

17          We can certainly look at those kind of  
18          figures all night long, but I don't think we  
19          need to do that. What we're going to do now  
20          is look at some of the ecological models.  
21          I'm going to start with wetland vegetation.  
22          We covered this during the first meeting,  
23          but just to refresh folks' memory who -- or  
24          to introduce you to it if you didn't see it  
25          the first time, what we're evaluating with

1 wetlands are changes in the marshes, changes  
2 in the swamps, potential changes, due to  
3 salinity changes, mainly salinity that might  
4 move farther upstream, higher salinity  
5 farther upstream.

6 The Water Management District's model  
7 for wetlands is based on defining what are  
8 called salinity breakpoints, salinity values  
9 in the river that determine transitions  
10 between, let's say, a salt marsh community  
11 and a freshwater title community on up into  
12 various forms of freshwater swamps.

13 So the District defined four of these  
14 salinity breakpoints based on work it did in  
15 the Ortega River and applied these into the  
16 salinity results it got in the main stem of  
17 the river. We applied the same approach  
18 using the same salinity breakpoints that the  
19 District did.

20 I'm going to show you quickly a series  
21 of three or four slides here. And what I'd  
22 like for you to look at is the location of  
23 these lines. These are the salinity  
24 breakpoint lines that are defined by the  
25 District. In this case, the red line is a

1           5.77-parts-per-thousand salinity, going up  
2           to the green line of 3.2. These are the  
3           salinities that the District felt like  
4           define shifts in wetland communities.

5           The other thing I need to point out at  
6           this point is that you'll see a notation  
7           here that this is the baseline 40-foot  
8           condition. That means that the results of  
9           this simulation are intended to illustrate  
10          what conditions are in the river today, the  
11          existing conditions with a couple of  
12          exceptions.

13          In addition to the depths of the river  
14          as they occur today, we've also included in  
15          the existing, or in the baseline condition,  
16          the changes in the Mayport Harbor and also  
17          the changes that are planned for the Mile  
18          Point area. So any time you see baseline 40  
19          foot, that means current channel with the  
20          addition of the Mayport and the Mile Point  
21          improvements. So these are the locations of  
22          these particular breakpoints under baseline  
23          conditions.

24          Turned on a layer now that shows the  
25          position of those breakpoints with a 46-foot

1 channel in the simulation. So you see that  
2 we have a bit of a shift upstream, all of  
3 the lines -- and sorry you can't see that  
4 one very well. But the model is predicting  
5 shifts, and these are roughly -- each one of  
6 these are a mile apart. So we're looking at  
7 shifts of roughly anywhere from a quarter to  
8 a half a mile, perhaps, in salinity zones,  
9 salinity breakpoints.

10 I've turned on another layer that  
11 represents a 50-foot channel. Again, it's a  
12 little hard to see, but the difference  
13 between the 50-foot and the 46-foot channel  
14 are not great in these simulations. So we  
15 have seen a shift, at least with the first  
16 increase in depth, up to 46. We see a shift  
17 but not quite as much a shift in going to 50  
18 feet.

19 I am showing also in this figure light  
20 blue areas are the location of wetlands  
21 within the river basin in this area. And  
22 one of the reasons I'm showing this  
23 particular segment of the river, which runs  
24 roughly from the Fuller Warren Bridge,  
25 Buckman Bridge down to Julington Creek and

1 Doctors Lake is because this is the segment  
2 of the river in which we see shifts -- or  
3 where we see the breakpoints that the Water  
4 Management District defined and where we're  
5 seeing shifts occur in those breakpoints.

6 Eric also mentioned that we're looking  
7 at a condition that we call 50-year future  
8 condition, the 50-year horizon, in which we  
9 are looking at the effects of sea level rise  
10 and the effects of water withdrawal from the  
11 Water Management District's plans. The  
12 conditions, the sea level rise we factored  
13 in as .39, four-tenths of a foot sea level  
14 rise. And we're looking at  
15 155-million-gallon-per-day water withdrawal.

16 This very light line here, very thin  
17 line, is the original baseline condition  
18 that we looked at, today's condition. You  
19 see the thin line there; it's today's  
20 baseline condition.

21 Under the 50-year -- or with the 50-year  
22 horizon scenario, no channel added, same  
23 40-foot channel, we see that the baseline  
24 has shifted up the river really about as  
25 much or more than it did with the

1           nearpy (ph) channel alternatives that we  
2           looked at under the current condition.

3           I took off the old original baseline.  
4           I'm just looking at the 50-year baseline  
5           with a 50-foot channel thrown in. So at the  
6           further time horizon, we see the baseline in  
7           a shift upstream in the potential transition  
8           from wetland communities with the 50-foot  
9           channel, 46 foot would fall somewhere in  
10          between. You see similar shifts at each of  
11          the salinity breakpoints.

12          MR. SUMMA: Ortega River, as well.

13          MR. SCHROPP: You can barely see them,  
14          but we've also got some different things in  
15          the Ortega River, as well.

16          Just to give you an idea of what we're  
17          looking at for the wetlands is how the model  
18          is helping us look at wetland communities.  
19          And what we'll be looking at eventually is  
20          where do these shifts occur, what types of  
21          wetlands occur along the area of the river  
22          affected by these shifts and do we get into  
23          tributary systems anywhere that would be  
24          affected by shifts in salinity, as well. So  
25          that's one of our next steps we're going to

1 do to use this data to try to look at  
2 impacts.

3 I want to move on now to submerged  
4 aquatic vegetation, eelgrass. Our  
5 evaluation method is a little bit different  
6 here. It's still based on salinity, but  
7 it's based on salinity stress. And the  
8 Water Management District looked at several  
9 different levels of salinity stress. It  
10 looked at stress related to the seven-day  
11 average salinity numbers. It looked at  
12 stress related to the 30-day average  
13 salinity numbers. It looked at stress  
14 related to the 90-day average salinity  
15 numbers.

16 We chose to use the 90-day average,  
17 because in looking through the data, the  
18 90-day average gave us the greatest number  
19 of days that put submerged aquatic  
20 vegetation under stress. It's, again,  
21 trying to look at a situation that would  
22 cause us, if anything, to over-predict  
23 rather than under-predict impacts. We think  
24 it is a conservative approach.

25 We'll look at two things. We'll look at

1 the individual areas where potential sea  
2 grass habitat changes from one stress  
3 condition to another. And we'll also look  
4 at total area affected, or total area that  
5 falls under one of the four stress  
6 conditions.

7 Our stress condition assessment is based  
8 on this nice, colorful summary of the Water  
9 Management District's work. Salinity is  
10 over here, one-day salinity, 7-day average,  
11 30-day average, 90-day average.

12 Ninety-day average is what we are  
13 looking at against four different levels of  
14 stress, either no effect, low stress,  
15 moderate stress or extreme stress. So  
16 again, we chose that because we think it was  
17 the most conservative approach.

18 The figure here shows our baseline  
19 condition, 40-foot condition, today. It  
20 shows the frequency, the amount of time,  
21 percentage of time that one of our model  
22 cells is under either moderate or extreme  
23 stress during the entire simulation period.

24 Our simulation period is six years. So  
25 roughly 2,100 days, give or take, 2,000

1 days, with the 90-day average. So a  
2 one-percent time under stress equates to  
3 about 22 days over that six-year period.

4 Again, we're looking at the area from  
5 the Fuller Warren Bridge, Buckman Bridge  
6 down to Doctors Lake and Julington Creek,  
7 because this is the area where we see the  
8 most change that would affect these  
9 communities.

10 We're also looking only at the edge  
11 cells in our model. Each of these colored  
12 areas is one of our modeled grid cells. The  
13 model contained cells throughout the main  
14 stem of the river. The model results are  
15 generated, of course, using all that for  
16 purposes of the SAV evaluation. We're only  
17 looking at the results from these cells  
18 along the edge because that's where the SAV,  
19 the eelgrass habitat, resides. You don't  
20 have eelgrass habitat out in the main part,  
21 the deepest part of the river.

22 So what this figure shows is that, first  
23 of all, below roughly not too far south of  
24 the Buckman Bridge, this light color is zero  
25 stress. So during our entire simulation

1 period, none of these cells in this color  
2 ever suffered any salinity stress according  
3 to our model results.

4 If you look at the other end, up here,  
5 this rusty reddish color is actually the 41  
6 to 45 percent stress frequency, which means  
7 that roughly 40 to 45 percent of the time  
8 there were a couple cells here near the  
9 Fuller Warren Bridge that the submerged  
10 aquatic vegetation was under moderate or  
11 severe stress. Colors grayed roughly,  
12 purplish, is roughly up to about 10 percent.  
13 The blue colors cover about 11 to 20  
14 percent. So you can gauge by the colors the  
15 rough frequency that any of these segments  
16 of the river were under moderate, extreme  
17 stress for Vallisneria.

18 I'm going to turn on the next layer,  
19 which I believe is going to be the 46-foot  
20 depth. And what I would like for you to  
21 notice is up in this area, you'll see a few  
22 changes, you'll see some change down in here  
23 by the different colors. We have a few more  
24 cells under increased stress here. Some of  
25 the sort of more moderate or less frequent

1 stress has actually shifted upstream a bit.  
2 These cells down here still remain under a  
3 no-stress condition all the time.

4 And lastly, I'll look at the 50 foot.  
5 Again, all these are relative to today's  
6 baseline. Fifty-foot channel depth added a  
7 few more cells under stress here, pushed a  
8 few more in this area into a higher stress  
9 condition, but these down here still remain  
10 in the no-stress condition.

11 So we've got these types of figures for  
12 also our 50-year horizon, which I haven't  
13 shown here. And we will be taking all of --  
14 we'll be taking the acreage occupied by each  
15 of these cells and the degree of stress and  
16 the change in stress conditions, stress  
17 frequency, to perform some calculations of  
18 potential impact and the amount of impact in  
19 terms of acres.

20 Move on to another topic, the benthic  
21 macroinvertebrates. In this case, we're  
22 looking at habitat area defined by salinity  
23 ranges. We'll look at changes in acreage of  
24 salinities, salinity ranges suitable for  
25 different benthic macroinvertebrates. We'll

1           also look at changes in the duration of the  
2           level of higher salinity events through  
3           something called partial duration frequency  
4           analysis. We'll also look at some  
5           regression equations the District has come  
6           up with to look at benthic macroinvertebrate  
7           abundance based on salinities.

8           I'm not sure how well you can see this,  
9           but showing the river from the mouth down  
10          roughly to Green Cove Springs and picking up  
11          on this side from Green Cove Springs down to  
12          Palatka, what I'm trying to show with this  
13          figure and the next couple of figures is how  
14          salinity zones in the river may shift under  
15          different project alternatives.

16          Starting off, again, with the 40-foot  
17          baseline condition, we have high salinities  
18          greater than 30 parts per thousand up in the  
19          first segment of the river that runs east to  
20          west basically. These lines here, you see  
21          them better here, define the boundaries  
22          between salinity zones 24 to 30, 18 to 24  
23          and so forth down the river, until south of  
24          Green Cove, we finally get into zones that  
25          are less than .5 parts per thousand --

1           MR. STITES: Steve, these are maximum  
2 salinities for the year.

3           MR. SCHROPP: Right. This represents  
4 the maximum 30-day average for the year  
5 1997. And the reason we picked that to show  
6 tonight is because of the six model years  
7 that we have, 1997 actually represents about  
8 the average. If we were to take all of them  
9 and average together, this would be roughly  
10 that location.

11           If I turn on the 46-foot -- where did it  
12 go -- 46-foot depth, the purple line, it's  
13 difficult to see up here, you get a little  
14 bit of a shift. As you move down here, you  
15 get some shift upstream in each of the  
16 salinity zones. Not a whole lot actually,  
17 these changes aren't that much in terms of  
18 distance.

19           Turned on the 50-foot relative to  
20 baseline, and that one I'm not sure you can  
21 see at all, but in actuality, that 50-foot  
22 line is almost laid over the top of the  
23 46-foot line, similar to what we saw with  
24 the wetland vegetation. We're not seeing  
25 that much of an increase or that much of a

1 shift in salinity zones as you go from 46 to  
2 50 feet.

3 The next one I threw in is the 50-year  
4 baseline, 50-year no-project water  
5 withdrawal sea level rise. And in some  
6 cases, in this part of the river, just south  
7 of Fuller Warren down toward the Buckman,  
8 the 50-year no-project condition is about  
9 the same as the 50-foot project condition  
10 relative to today's baseline.

11 Other areas, as you get farther south,  
12 we do see that the 50-year horizon baseline  
13 pushes farther down -- or pushes farther up  
14 the river than either the 46 or the 50-foot  
15 alternative relative to today's condition.

16 And finally, I'll throw in the most  
17 extreme condition we modeled, which is 50  
18 years out and the 50-foot project depth.  
19 And we see, again, somewhat of a push  
20 upstream.

21 Now, we have not quantified these shifts  
22 yet in terms of acreage. We're still  
23 reviewing the contours and reviewing the  
24 areas affected. But ultimately, we'll be  
25 able to calculate the difference in acreage,

1           let's say, between this area under the  
2           baseline condition and that same area under  
3           either of the projects, 46, 50 foot,  
4           whichever.

5           What we see right now, based on lots and  
6           lots of these pictures and looking at the  
7           partial duration results, is that we're  
8           seeing relatively small changes in the  
9           maximum river bottom salinities. And I  
10          should back up and say all these salinities  
11          that I talked about with the benthic  
12          macroinvertebrates are based on the bottom  
13          cell of the model, they're bottom  
14          salinities, because that's where these  
15          creatures live.

16          We note that the elevated salinities  
17          occur, you see some of the biggest changes,  
18          probably spatially at least, along the  
19          Fuller Warren Bridge down to the Shands  
20          Bridge. All these models are really  
21          showing, it seems like, that we see the  
22          greatest effect of salinity changes in that  
23          area beginning roughly south of the Fuller  
24          Warren Bridge and on down to Green Cove  
25          Springs or so.

1           Interesting that the salinity zones  
2           really seem to be affected less by the  
3           deepening than they do just the year-to-year  
4           variability due to changes in flow, changes  
5           in rainfall. I didn't show annual  
6           variability, but if we looked at that, we  
7           would see a quite large shift in the  
8           salinity zones on an annual basis just in  
9           and among river flow.

10           Also, as we saw in the figure, when you  
11           look at the 50-year-out condition sea level  
12           rise, water withdrawal, we see some shifts  
13           upstream that exceed the effects of the --  
14           even 50-foot channel under today's  
15           condition.

16           UNKNOWN SPEAKER: Question: What's that  
17           sea level rise you were considering again?

18           MR. SCHROPP: .4, four-tenths of a foot,  
19           actually .39, but call it four-tenths.

20           Next to the last one of the ecological  
21           models is the fish model. It's actually  
22           somewhat similar to the benthic  
23           macroinvertebrates, in that we're looking at  
24           salinity zones that are optimal for fish.  
25           I'm not going to show any figures for this

1           one because the figures would look very much  
2           like the one I just went through for the  
3           benthic macroinvertebrates. But we do look  
4           at changes in the area of -- (inaudible) --  
5           salinity category.

6           We also will consider changes in the SAV  
7           cover going back to our SAV maps I showed  
8           you earlier, because the SAV beds provide  
9           some important habitat for juvenile fishes.

10          And we'll also look at changes that may  
11          occur more towards the mouth than what I've  
12          shown in these figures where we have some  
13          extensive title marsh that we could see some  
14          shifts in salinity that could affect waters  
15          up in the marshes that really aren't covered  
16          well at all or not covered at all by our  
17          model.

18          And based on looking at the salinity  
19          changes related to fish, these results are  
20          actually -- or interpretation is actually  
21          very similar, again, to what we saw from the  
22          benthic macroinvertebrates. We do see some  
23          minor shifts upstream and in salinity zones.

24          Fish, though, in contrast to the benthic  
25          macroinvertebrates, the fish can move with

1 water, unless they're in the juvenile stages  
2 and are planktonic or just aren't swimming  
3 well enough to overcome the water currents,  
4 but the fish can move upstream or downstream  
5 as the salinity shifts. What we are  
6 concerned about is just that shift upstream  
7 or downstream to take them out of what may  
8 be a preferred physical habitat. That's  
9 something we'll have to look at.

10 Similar conclusions related to deepening  
11 and annual year-to-year changes and the  
12 relative effects of those: We don't think  
13 that fish habitat in the main stem of the  
14 river, in the main stem, would be seriously  
15 affected, but we do realize that there is  
16 potential, as I mentioned, for effects on  
17 fish in the tributaries, and that's  
18 something that we need to look at further.

19 Last of the five models is the plankton  
20 model. If you were here at the first  
21 presentation we did several months ago, you  
22 might recognize this slide; it's the same  
23 one. We're looking at several potential  
24 metrics that tell us something about  
25 plankton blooms in the river. These include

1 the marine algal blooms measured by the  
2 volume of marine algae; micro bloating (ph)  
3 nitrogen fixation by blue-green algae.  
4 Freshwater bloom magnitude is measured by  
5 chlorophyl A or dissolved oxygen.  
6 Freshwater bloom duration, how many days,  
7 what's the length of a bloom, how long do  
8 they persist.

9 And the valuation method that was  
10 developed by the Water Management District  
11 was regression models based on a water age  
12 factor that's delivered to us from the EFDC  
13 model.

14 Preliminary results, I thought this was  
15 going to be the easiest model, plug in our  
16 regressions and go. But unfortunately, our  
17 results so far are inconclusive. We've run  
18 the models, we're seeing some trends one way  
19 or another in the regression results that  
20 we're just not comfortable with yet. So  
21 we're looking at the water age data, we're  
22 looking at the regression equations and  
23 we're trying to tease out what's going on  
24 there. But at this point I'm just going to  
25 say the results are inconclusive and that we

1 are continuing to evaluate these data and  
2 see what we can do with them.

3 Lastly, a little bit different topic,  
4 but I mentioned at the very beginning that  
5 we're doing a somewhat independent water  
6 quality evaluation, as well, based on  
7 another set of models, the EFDC and the  
8 CE-QUAL ICM model. Chlorophyl A and  
9 dissolved oxygen, the idea was that we could  
10 use these as somewhat of an independent  
11 check compared back to our plankton model  
12 results.

13 This is another, or this is couple model  
14 systems, depends on an initial running of  
15 the EFDC model, a little bit different grid  
16 than we had for the ecological model EFDC  
17 grid. The reason being that this is a grid,  
18 or a model system setup by the Water  
19 Management District for the purposes of the  
20 total maximum daily load calculations. It's  
21 a different set up for a different function.

22 Roughly 2,700 model cells, again, 6  
23 vertical layers, it's another 3-D model,  
24 what we're using it for is to output water  
25 service elevation velocities in salinity,

1           which feed then into the CE-QUAL water  
2           quality model.

3           You've got these two calibrated CE-QUAL  
4           models, calibrated, and we've started  
5           production runs. And those are still  
6           underway, so I don't have anything to report  
7           yet on those.

8           So I said I wasn't going to wear you  
9           out, so I'm going to wrap it up. Try to  
10          summarize what we've run through this  
11          evening. Again, I want to emphasize that  
12          these are preliminary results. We're still  
13          working with them on a daily basis. We're  
14          still generating results from the models.  
15          So what you see here tonight is the somewhat  
16          raw and unedited version of what the models  
17          are showing us, but I think you should have  
18          hopefully a good example or a good feel for  
19          what these models can do.

20          Tentatively, we feel like the  
21          circulation model, the EFDC model, is  
22          effectively simulating the water movement.  
23          It's getting the water elevations, it's  
24          getting the salinities quite effectively, we  
25          think.

1           The ecological models are indicating  
2 effects with the different study  
3 alternatives. We've not quantified those  
4 effects yet. We will be doing that. And  
5 those effects occur also with what we call  
6 the no-action alternative or basically the  
7 50-year future condition with no project.  
8 Even with no project, if the changes in the  
9 sea level and changes in the watershed occur  
10 as predicted by the Water Management  
11 District, we'll still see effects on these  
12 ecological communities similar to what we  
13 might see due to deepening.

14           That's not to say deepening doesn't have  
15 an impact. The models show that it will  
16 have some impact.

17           Preliminary effects, I would say it  
18 looks like we're going to see the greatest  
19 effect, the greatest measurable,  
20 quantifiable effect probably on the SAV  
21 communities and the wetland communities.

22           I already mentioned sea level rise.  
23 That could be a pretty significant impact in  
24 the river beyond the scope of this project.

25           As I said, we're still working. We have

1 additional simulations underway. Additional  
2 data interpretation is ongoing. And I  
3 forget exactly what the schedule said, but  
4 the next time we have a public meeting,  
5 we'll be giving you more definitive results.  
6 And that is all I have tonight and I will  
7 turn it back over to Eric.

8 MR. SUMMA: All right. So that's the  
9 presentation we wanted to give you. We want  
10 to give you guys an opportunity now to have  
11 some verbal Q and A, if you'd like. If  
12 there is anything up here that you saw that  
13 you need some clarification on, that's what  
14 we're here to discuss. Feel free to come up  
15 and speak into the microphone here, please.

16 We have Amanda, the Court Reporter, here  
17 who is actually taking down everybody's  
18 comments. So please state your name, if you  
19 could, and just give us your comment. And  
20 we're welcome to hear any questions or  
21 concerns or comments you might have.

22 MS. RINAMAN: Hello. I'm Lisa Rinaman,  
23 St. Johns Riverkeeper. Thank you for this  
24 presentation tonight and the opportunity to  
25 speak. I have four questions, two

1 clarification and one just from a timing  
2 perspective.

3 On the presentation you showed, it was a  
4 simulation they were showing salinity. And  
5 was that just from a 40-foot depth over a  
6 course of the seasons and time or does that  
7 show for different depths? I wasn't clear  
8 during the presentation.

9 MR. SCHROPP: The one we showed, the  
10 simulation results that we showed, were for  
11 the 40-foot depth, baseline condition for  
12 the year 2001. So --

13 MS. RINAMAN: Just over the course of a  
14 year?

15 MR. SCHROPP: That was just a one year,  
16 yeah. And again, that was just an example  
17 of what we're getting out of it, but it does  
18 let you see, I think pretty clearly, the  
19 three-dimensional effect and the movement  
20 upstream and downstream.

21 MS. RINAMAN: It did show the different  
22 depths, it showed the 46 and 48 and 50 --

23 MR. SCHROPP: I'm sorry, I mean the six  
24 vertical layers in the model. It showed the  
25 salt wedge kind of coming up the bottom part

1 of the river and the fresher water rolling  
2 over the top.

3 MS. RINAMAN: At the different depths?  
4 I wasn't clear when you were running it --  
5 it was just over the current level?

6 MR. SCHROPP: At the current depth  
7 condition, yes.

8 MS. RINAMAN: Have you all ran that  
9 model for the proposed depths from 46 to 50?

10 MR. SCHROPP: Yes. And the results of  
11 all the ecological models were based on the  
12 output of the EFDC model for those different  
13 project depth simulations. So the animation  
14 that we showed was just to illustrate what  
15 we get out of that model. And it was just  
16 at the one depth, but all the ecological  
17 model simulations that we talked about were  
18 run with the baseline, 46 foot, 50 foot, the  
19 50 year in the future, I do have a 44 foot  
20 that we haven't shown tonight, 50 years in  
21 the future baseline, 50 plus 50 feet, 50  
22 plus 46 feet, and I think we have 50 plus 44  
23 done also.

24 MS. RINAMAN: And then all the base  
25 ones, I think you answered my second

1 question, all the 40-year baselines, that  
2 was run off the 2001 number, the 2001 year?

3 MR. SCHROPP: No. All the simulations,  
4 the results of all the ecological models,  
5 are based on the full extent of the  
6 simulation period, 1995 through -- 1996  
7 through 2001, six years. I just clipped out  
8 one year for that animation because it was  
9 way too long.

10 MS. RINAMAN: It would take the whole  
11 night. So like, for example, on the  
12 submerged aquatic vegetation model, you said  
13 this was the baseline, that was the -- took  
14 the baseline from all those six years, I  
15 think it was.

16 MR. SCHROPP: The figure on the  
17 submerged aquatic vegetation used the  
18 results from the entire six-year period.  
19 And what it was doing was showing how  
20 many -- what's the percentage of time a  
21 particular cell was under stress during that  
22 secure period. In other words, if it was  
23 2,000 days and it was under stress for 200  
24 days, it was tagged with a 10, 10 percent, I  
25 think I got that right. So that's what that

1           showed.

2           MS. RINAMAN: I just wanted to clarify  
3           it was over the entire six-year snapshot and  
4           not just one select year out of that.

5           MR. SCHROPP: No. That was the entire  
6           period.

7           MS. RINAMAN: I think my other two  
8           questions are for you. I know we talked  
9           about some of us who would like to get in  
10          more detail behind the presentation and have  
11          a chance for feedback and conversation. I  
12          just wanted to make sure that would be an  
13          opportunity to us prior to the next public  
14          meeting.

15          MR. SUMMA: Yes. So we're going to have  
16          the entire in-depth presentation available  
17          for you on Monday on the website, give you  
18          guys a chance to take a look at it. And  
19          then the team, we haven't talked about it  
20          extensively, but if necessary, we're going  
21          to have our bimonthly calls where we can go  
22          over any part of the presentation you would  
23          like; or if we need to go into it in more  
24          detail, have a specific meeting just about  
25          the more in-depth presentation, we can do

1           that, too.

2           MS. RINAMAN: Very good, appreciate that  
3           opportunity, as well.

4           And lastly, I know there is a lot of  
5           concurrent -- just to work on your fast  
6           tracking, there is a lot of concurrent  
7           reviews and different agencies. How will  
8           the public be alerted and be able to  
9           feedback on changes on issues that may come  
10          up from the different agencies' review  
11          during that real tight period? I think it  
12          begins in December and the first of the  
13          year.

14          MR. SUMMA: Jason, do you want to --

15          MR. HARRAH: Essentially, what we'll do  
16          is the report will come out in May. And  
17          just so you know, just to clarify, all the  
18          reviews that occur, all start in May. The  
19          public review starts in May; our division  
20          office in Atlanta review starts in May; our  
21          D.C. level starts in May; we have a legal  
22          review; and the independent external peer  
23          review, which is a completely separate party  
24          from the Corps. That takes everything and  
25          reviews it for their level.

1           And then Samantha is the planning  
2           technical lead as far as taking all the  
3           comments, making sure the team gets all the  
4           comments answered, revising the documents.

5           MS. BORER: Right. And I just want to  
6           add that we will have, at the time of  
7           release of the draft reports, we'll set up a  
8           public meeting. So we can discuss and go  
9           over if there are issues that have come up.

10          MR. HARRAH: We'll keep you guys 100  
11          percent apprised of the documents that you  
12          get in May versus the documents completed in  
13          October. We'll have all the things that's  
14          been modified in the document clearly  
15          visible. We can speak to those in the  
16          public meetings as we have them and the  
17          bimonthly meetings just to let everyone know  
18          the changes that have been made based on the  
19          various agencies' input.

20          MS. RINAMAN: Very good, thank you.

21          MR. SUMMA: Really appreciate the  
22          Riverkeeper being here. As you guys know,  
23          we're out here trying to give you our best  
24          information we have. Ms. Rinaman is out  
25          there in the public all the time, and so

1 really appreciate the engagement and the  
2 involvement of the Riverkeeper. It's been  
3 extensive and really appreciated because  
4 that's helping us do the same exact thing,  
5 be collaborative, making sure we're getting  
6 all the information out, making sure we have  
7 the right information. So the help of the  
8 Riverkeeper has been fabulous. Thank you so  
9 much.

10 MS. BARNES: I just had a question, if I  
11 could, please, a clarification. Again, on  
12 the salinity on the wetland vegetation  
13 model, I was trying to find out, when you  
14 were doing your modeling, did you take into  
15 account the sea level rise on your 50-year  
16 horizon, both in that model and on the  
17 maximum salinity per year model, because you  
18 were saying the different depths, but not --  
19 you weren't taking into account the sea  
20 level rise.

21 MR. SCHROPP: In all of the ecological  
22 models that we've done, we do include  
23 conditions with sea level rise. So all that  
24 I showed, if I didn't say it loud enough,  
25 sorry, but it did include the different

1 project depths and it did include looking at  
2 sea level rise, as well; although, actually,  
3 I think, with the SAVs, I didn't have a  
4 figure for the sea level rise.

5 MS. BARNES: Bonnie Barnes, North  
6 Florida Land Trust, thank you.

7 MR. LARSON: My name is Tom Larson. I'm  
8 with the Sierra Club. Couple questions: Is  
9 your modeling concept where you see really a  
10 straight-line relationship between the 40  
11 and 44, 46, 50, or do you see some kind of a  
12 curve relationship in some of the shifts for  
13 the different models on -- I observe, say,  
14 the 46 didn't look a lot different than the  
15 50, but the 46 looked pretty different from  
16 the 40. Is there a curve that you're seeing  
17 in the data generally?

18 MR. SCHROPP: The only thing we have to  
19 look at -- first of all, you're right. It  
20 does look like it's not a linear  
21 relationship, but what we have to look at  
22 are only the three, four depths we have  
23 right now. We may do some runs just to see  
24 what happens between that 40 and 46-foot,  
25 44-foot depth. But at the moment, all we

1           can say is that at this point, this point  
2           and this point, that's what it looks like,  
3           and there is no defined relationship for  
4           that. And if you look at different parts of  
5           the river and different salinity ranges, you  
6           will see somewhat different relationships.

7           MR. LARSON: Is that possibly a  
8           consequence of the geology of the bottom of  
9           the river being evident in the simulation  
10          where you had the motion, it kind of steps  
11          up in several miles, like 20, 25 miles in  
12          and then it kind of is a 12-foot depth or  
13          so. I know I don't have the numbers exact.  
14          But that's got an effect, I would imagine,  
15          as you move from one model's environment to  
16          another, as well; right?

17          MR. SCHROPP: The changes in depth that  
18          we're simulating occur only in the first 13  
19          miles of the river.

20          MR. LARSON: I understand that.

21          MR. SCHROPP: So how those changes may  
22          affect the movement of water, that's what  
23          the model simulating how that affects going  
24          over this, if you want to call it, a seal  
25          that you see there near the Acosta Bridge.

1 I can't really answer exactly what the model  
2 is doing for that, but we know that it's  
3 simulating water coming over. And given the  
4 different amounts of title flow and  
5 circulation coming in, perhaps there is some  
6 different behaviors. Maybe we're seeing a  
7 little bit different behaviors with  
8 different depths, I really can't tell you  
9 for sure right now what that might be.

10 MR. LARSON: My last question relates to  
11 sea level rise. Four-tenths of a foot, you  
12 might say, one might say, a modest  
13 presumption. Some others have been talking  
14 about much higher amounts, whether it's 50  
15 years or 100 years, and maybe 10 times that  
16 or more.

17 MR. SCHROPP: Steve Bratos with the  
18 Corps can answer that one.

19 MR. BRATOS: The Corps of Engineers has  
20 guidance that we're required to follow. And  
21 what we have, that four-tenths of a foot is  
22 our 50-year historic rate projection, 50  
23 years in the future. We have two other  
24 curves that are higher rates and go  
25 something like in 50 years, it would be one

1 foot. And the highest curve goes to  
2 something like two feet in 50 years. Our  
3 guides right now is to look at the historic  
4 rate.

5 MR. LARSON: The guidance is policy  
6 decision; right?

7 MR. BRATOS: The Corps of Engineers'  
8 policy, yes.

9 MR. LARSON: Understood. But what if we  
10 actually think about the prospect of  
11 actually two feet in 50 years, wouldn't that  
12 change what the models look like for the  
13 50-year scenario?

14 MR. BRATOS: It would certainly change  
15 where the salinity appears in the river; it  
16 would go farther upstream. And what I was  
17 going to say is that, while we're looking  
18 for that particular depth that falls out  
19 economically, cost and benefit-wise, we're  
20 looking at the historic rate. When we get  
21 to that project depth that we identify based  
22 on cost and benefit, we will look at those  
23 other two curves to see if that causes some  
24 sort of impact that maybe we should redesign  
25 our project.

1           MR. LARSON: So we'll have more  
2 opportunity to consider that with you in the  
3 future?

4           MR. BRATOS: Yes. And the Corps' policy  
5 is really directed toward trying to look at  
6 an adaptive way of dealing with sea level  
7 rise, since it's not a completely certain  
8 event in the future. So we try to look  
9 at -- you know, we try to predict what we  
10 think will happen. We design projects for  
11 that and then monitor. And if things  
12 change, then we adapt that project or our  
13 policies to figure out what works better.

14          MR. LARSON: Okay. Thank you.

15          MR. SUMMA: Another question back there.

16          DR. STALKER: Yeah. My name is Jeremy  
17 Stalker, I'm an Assistant Professor at  
18 Jacksonville University. I have a few  
19 questions on the model. I really love  
20 models and nuts and bolts.

21                 What kind of verification are you using  
22 for the model? So what kind of surveys,  
23 subaquatic surveys? Are you doing  
24 multilevel salinity analysis? What kind of  
25 data are you actually using to verify the

1 model results?

2 MR. BRATOS: Which models?

3 DR. STALKER: Well, I mean, multiple  
4 models. So there's the subaquatic  
5 vegetation model. Where are the subaquatic  
6 vegetation patches? Every inch of river  
7 doesn't have subaquatic vegetation. So is  
8 there some way to verify how those impacts  
9 will happen?

10 And then for the floor models,  
11 especially the three-dimensional and  
12 cross-sectional floor models, the salinity  
13 movement in the river, are there multilevel  
14 salinity surveys going on that would verify  
15 the results of the -- (inaudible)?

16 MR. SCHROPP: We're using data for,  
17 first of all, the EFDC model, the salinity  
18 model, circulation model, we're using input  
19 data provided by the Water Management  
20 District. The Water Management District  
21 model, using a very similar model, a  
22 ten-year period, we're modeling a six-year  
23 subset of that period. And the inflows, the  
24 salinity, the day that we used to calibrate  
25 and verify the model all come from the Water

1 Management District.

2 The bathymetry in the model is, and  
3 correct me if I'm wrong, Steve, a  
4 compilation of most recent bathymetry, as  
5 well as adjustments for the mile point and  
6 Mayport projects.

7 MR. BRATOS: Correct.

8 DR. STALKER: If we had a 40-foot dredge  
9 since 2010, if that's what I heard,  
10 Christmas 2010, so we've only really had a  
11 40-foot environment for a year and a half  
12 maybe, so how are we verifying these more  
13 increasing depths with current data, I  
14 guess?

15 MR. BRATOS: I'll try to give you some  
16 context. The 2010 time frame is when we  
17 dredged probably about a 4-mile section and  
18 brought it to 40 feet. The other 15 miles  
19 were already at 40 feet and have been for a  
20 number of years. While there is salinity  
21 data being collected, the top, bottom and  
22 mid depths, in at least two or three  
23 locations along the river, Dames Point,  
24 right around here, some data at the Main  
25 Street Bridge downtown, Buckman Bridge,

1 Shands Bridge, it's not continuous in all  
2 those places. But we have a fairly long  
3 record of at least 10 years of data, and  
4 that goes up to the present day in a few  
5 locations.

6 So we have been able to confirm that,  
7 for instance, our baseline run, while we  
8 don't actually simulate the 2009 conditions  
9 exactly a comparable year of river flow,  
10 gives us the same level of salinity at some  
11 of these locations.

12 DR. STALKER: So there are some  
13 tolerance within the modeling, some  
14 acceptable error?

15 MR. BRATOS: We didn't show it today,  
16 but there is an extensive calibration,  
17 validation set of documentations and  
18 statistics and error --

19 MR. SUMMA: You'll see that Monday if  
20 you want to get deep into it.

21 DR. STALKER: I'm guessing this is all  
22 in a much longer, boring talk. I'm just  
23 asking because these are the things that pop  
24 up in my head when I look at models.

25 My second question -- I guess I can

1           answer some of those questions on my own --  
2           what about groundwater, are we looking at  
3           any saltwater intrusion changes? Are we  
4           looking at any groundwater inputs into the  
5           river? We're looking at lateral flow, is it  
6           all just surface lateral flow and direct  
7           rainfall input? Are we looking at  
8           springwater or bottom influences of water  
9           going into the river, so sources of water?

10           MR. BRATOS: All the conditions that  
11           we're using, in terms of any freshwater  
12           flow, are based on Water Management's ten  
13           years of simulations. So they've developed,  
14           with their own hydrology model, all of those  
15           inputs. And going up to the more upstream  
16           locations, really upstream of our model  
17           domain, there are significant groundwater  
18           inputs. And those are incorporated in the  
19           model, not only the volumes of flow, but  
20           also what's the exact salinity of those  
21           flows.

22           DR. STALKER: So for this section of the  
23           river, we're considering groundwater is just  
24           not --

25           MR. BRATOS: To my knowledge, there is

1 no groundwater input in the lower St. Johns  
2 River. There might be some that I'm not  
3 recalling, but we are looking at -- the  
4 other way of looking at it in that is we do  
5 have, in terms of drinking water wells,  
6 we're looking at what the channel depth  
7 dredging could do to impact water wells. So  
8 we're actually looking at how the salinity  
9 may infiltrate --

10 DR. STALKER: Okay. So you are looking  
11 at some cell water intrusion --

12 MR. BRATOS: Right. But to my  
13 knowledge, there is not any significant  
14 groundwater input at this location.

15 MR. SCHROPP: We do see in the model, at  
16 the far upstream end of our model, we see  
17 the -- some of -- they're small, but we do  
18 see some salinity down there that aren't  
19 coming from lower river, but they're coming  
20 from those inflows upstream. So yeah, we do  
21 see that in the model. And the data that  
22 we're using from the --

23 DR. STALKER: So you see them as  
24 anomalies in the model, so things that  
25 aren't being considered?

1           MR. SCHROPP: I wouldn't call them  
2 anomalies necessarily. They're mimicking  
3 what's going on.

4           DR. STALKER: So you've included those  
5 in the model?

6           MR. SCHROPP: Yeah, our laterals do  
7 that.

8           MR. BRATOS: The values of salinity are  
9 attached to those flows. If it is a  
10 groundwater flow --

11           (Inaudible crosstalk.)

12           DR. STALKER: -- pushing that lateral  
13 flow, okay.

14           MR. SCHROPP: You asked a question about  
15 the SAV model, as well. The thing to  
16 realize about the SAV model is it's  
17 predicting salinity stress in potential SAV  
18 habitat. It's not modeling specific field  
19 observed patches of SAV. It's simulating,  
20 is this area where sea grass likely has good  
21 habitat going to be under stress or not due  
22 to changes in salinity.

23           DR. STALKER: Thank you.

24           MR. HARRAH: One other thing I'll  
25 mention, we'll put the presentation out

1           there, the more technical presentation, on  
2           the public website for everyone to look at.  
3           I think our next public meeting for people  
4           to call into is December 3rd, Monday,  
5           December 3rd.

6           What I would like to do is put the  
7           presentation out there, give you guys a few  
8           weeks to digest it. And then we'll devote a  
9           certain portion at the end of that meeting  
10          to a technical discussion, full technical  
11          discussion. At that presentation I'll make  
12          sure we have the right guys in the room to  
13          answer your questions once you digest the  
14          technical portion. I think that would  
15          probably help your question a little bit.

16          MR. SUMMA: Any others? Thank you guys  
17          very, very much for your time this evening.  
18          I know you took time away from your  
19          families. You took time away from  
20          everything that you would normally want to  
21          be doing. But your presence here tonight  
22          shows that you're actively engaged, you're  
23          really interested in what's happening with  
24          this project. Please keep up with us and  
25          bimonthly calls and future announcements for

1           these meetings.

2           If you have any other comments, please  
3           write to us on the e-mail address that we  
4           have on the brochure that you have tonight.  
5           We'll take any comment that you didn't think  
6           of here tonight and you thought of when you  
7           got home. That's how I kind of react to  
8           things like this, I think of it way too  
9           late. Please bring those comments to our  
10          attention. We want to do this stuff right.  
11          We want to do this study right for you. So  
12          the more you're engaged, the better it's  
13          going to be.

14          Also, just keep in mind that, you know,  
15          again, we didn't show you a lot of  
16          information on impacts tonight. We showed  
17          you what our very small box, our statistic  
18          conservative box, demonstrates as far as  
19          what changes you might see in the river. As  
20          we refine this information a little bit  
21          further, we'll get to the point where we can  
22          potentially assess impacts to the  
23          communities that we talked about tonight  
24          when we have a tentatively selective plan.

25          Right now we wanted to get you as much

1 information as we have to date, so we hope  
2 it was helpful to you.

3 Again, thank you very much for coming  
4 out tonight. We really appreciate your  
5 time.

6 (Whereupon, the meeting was  
7 concluded at 8:44 p.m.)

8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E1  
2 STATE OF FLORIDA )

3 COUNTY OF DUVAL )

4 I, Amanda E. Robinson, Court Reporter and  
5 Notary Public, duly qualified in and for the  
6 state of Florida, do hereby certify that I was  
7 authorized to and did stenographically report the  
8 foregoing proceedings; and that the transcript is  
9 a true record.10 I further certify that I am not a relative,  
11 employee, attorney or counsel of any of the  
12 parties, nor am I a relative or employee of any  
13 of the parties' attorney or counsel connected  
14 with the action, nor am I financially interested  
15 in the action.16 Dated this 30th day of November, 2012.  
17  
1819 \_\_\_\_\_  
20 Amanda E. Robinson, RPR  
21  
22  
23  
24  
25